

1 BEFORE THE ARIZONA POWER PLANT AND LS-262
2 TRANSMISSION LINE SITING COMMITTEE

3

4 IN THE MATTER OF THE) DOCKET NO.
APPLICATION OF SUPERSTITION) L-21209A-22-0255-00210
5 ENERGY STORAGE, LLC)
IN CONFORMANCE WITH THE) LS CASE NO. 210
6 REQUIREMENTS OF ARIZONA)
REVISED STATUTES, SECTIONS)
7 40-360, et. seq., FOR TWO)
CERTIFICATES OF ENVIRONMENTAL)
8 COMPATIBILITY AUTHORIZING THE)
SUPERSTITION 230-kV)
9 GENERATION INTERTIE PROJECT)
AND ASSOCIATED SUBSTATION)
10 WITHIN THE TOWN OF GILBERT,)
ARIZONA, LOCATED WITHIN)
11 MARICOPA COUNTY, ARIZONA) EVIDENTIARY HEARING
_____)
12)

13 At: Tempe, Arizona

14 Date: November 9, 2022

15 Filed: November 16, 2022

16

17 REPORTER'S TRANSCRIPT OF PROCEEDINGS

18 VOLUME I
19 (Pages 1 through 107)

20

21

22 GLENNIE REPORTING SERVICES, LLC
1555 East Orangewood, Phoenix, AZ 85020
602-266-6535 admin@glennie-reporting.com

23

24 By: Kathryn A. Blackwelder, RPR
Certified Reporter
Certificate No. 50666

25

1	VOLUME I	November 9, 2022	Pages 1 to 107
2	VOLUME II	November 10, 2022	Pages 108 to 142

3

4 INDEX TO PROCEEDINGS

5	ITEM	PAGE
6	Opening Statements	NONE
7	Virtual Tour	45
8	Public Comment Session	104
9	Closing Statements	NONE
10	Deliberations for CEC 210-1	113
11	Vote for CEC 210-1	129
12	Deliberations for CEC 210-2	131
13	Vote for CEC 210-2	136

14

INDEX TO EXAMINATIONS

15	WITNESSES	PAGE
16	LUCY MARTON - Applicant	
17	Direct Examination by Mr. Thomas	11
18		
19	DEAN HAZLE, DEVIN PETRY - Applicant	
20	Direct Examination by Ms. Driggs	35
21		
22	ANDY ALLBEE - Applicant	
23	Direct Examination by Ms. Driggs	66
24		
25	PAUL ROGERS - Applicant	
	Direct Examination by Mr. Thomas	81

1 INDEX TO EXHIBITS

2	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
3	SES-1	CEC Application	14	102
4	SES-2	Amended Exhibit G	15	102
5	SES-3	Superstition Route Tour Itinerary and Map	15	102
6				
7	SES-4	Superstition ACC Hearing Presentation, by Power Plus	13	102
8				
9	SES-5	Superstition Corridor Map	15	102
10	SES-6	Superstition Stakeholder Involvement Summary	15	102
11				
12	SES-7	Superstition CEC Hearing Slides, by SWCA	15	102
13	SES-8	Fisher Report	16	102
14	SES-9	Utilities Division Response	16	102
15	CHMN-1	Proposed Draft of CEC 210-1	112	FOR REFERENCE
16				
17	CHMN-2	Final Draft of CEC 210-1	112	FOR REFERENCE
18	CHMN-3	Proposed Draft of CEC 210-2	112	FOR REFERENCE
19				
20	CHMN-4	Final Draft of CEC 210-2	112	FOR REFERENCE

21

22

23

24

25

1 BE IT REMEMBERED that the above-entitled and
2 numbered matter came on regularly to be heard before
3 the Arizona Power Plant and Transmission Line Siting
4 Committee at Hilton Garden Inn, 86 South Rockford
5 Drive, Tempe, Arizona, commencing at 10:08 a.m. on the
6 9th of November, 2022.

7
8 BEFORE: PAUL A. KATZ, Chairman

9 LEONARD DRAGO, Department of Environmental Quality
10 DAVID FRENCH, Arizona Department of Water Resources
11 JAMES PALMER, Agriculture Interests
12 MARY HAMWAY, Incorporated Cities and Towns
13 RICK GRINNELL, Counties (via videoconference)
14 MARGARET "TOBY" LITTLE, PE, General Public
15 (via videoconference)

16 APPEARANCES:

17 For the Applicant:

18 PERKINS COIE
19 Ms. Andrea Driggs
20 Mr. Christopher Thomas
21 2901 North Central Avenue, Suite 2000
22 Phoenix, Arizona 85012

23 For Intervenor Town of Gilbert:

24 CROCKETT LAW GROUP, PLLC
25 Mr. Jeffrey Crockett
2198 East Camelback Road, Suite 305
Phoenix, Arizona 85016

1 CHMN. KATZ: Good morning, everyone. We're
2 about ready to begin our next hearing in CEC Case
3 Number 210, Plus Power Superstition project.

4 And I will ask counsel who are present to
5 please identify themselves for the record.

6 MR. THOMAS: Good morning, Mr. Chairman,
7 Members. My name is Chris Thomas. I'm with the
8 Perkins Coie law firm. And with me today is Andrea
9 Driggs also from Perkins.

10 CHMN. KATZ: Thank you very much.

11 And we do have an attorney representing the
12 intervenor, or potential intervenor, Town of Gilbert --
13 or is it City now -- anyway, representing Gilbert,
14 Arizona. And I'd ask the gentleman seated to my left
15 to identify himself.

16 MR. CROCKETT: Good morning, Chairman Katz
17 and Members of the Committee. My name is Jeff Crockett
18 of Crockett Law Group, PLLC. I am here today
19 representing the Town of Gilbert. And we have filed a
20 notice of intent to be a party in this proceeding and
21 are waiting for the Committee's ruling on that request.

22 CHMN. KATZ: And again, the Town is
23 supportive of the project, at least that's my
24 understanding, and you don't intend to likely need to
25 cross-examine any of our witnesses or present any

1 testimony?

2 MR. CROCKETT: Chairman Katz, Committee
3 Members, that is correct. The Town is in support of
4 the application, and I think our participation today is
5 mostly that of monitoring.

6 CHMN. KATZ: Thank you very much. First
7 thing I'd like to do is just have a roll call, and
8 first of the folks that are appearing here in person.

9 MEMBER DRAGO: Yeah, hi. My name is Len
10 Drago. I'm designee for the Arizona Department of
11 Environmental Quality.

12 CHMN. KATZ: And I'm Paul Katz, the Chairman
13 designated by our Attorney General, Mark Brnovich.

14 MEMBER FRENCH: David French, Director's
15 designee for the Arizona Department of Water Resources.

16 MEMBER PALMER: Jim Palmer representing
17 agriculture.

18 CHMN. KATZ: And I would then ask the -- I'll
19 ask Member Grinnell to identify himself for the record.

20 MEMBER GRINNELL: Sorry. Rick Grinnell
21 representing counties.

22 CHMN. KATZ: And then Member Hamway.

23 MEMBER HAMWAY: Yes. Mary Hamway
24 representing cities and towns.

25 CHMN. KATZ: Last but not least, Member

1 Little.

2 MEMBER LITTLE: Toby Little representing the
3 public.

4 CHMN. KATZ: And I am glad that we have one
5 more person present than necessary for a quorum. There
6 are seven of us. I don't know if all of you have
7 heard, but Jack Haenichen, who is staying at the hotel
8 where we're conducting the hearing, woke up this
9 morning with the world spinning around him, had a
10 severe case of vertigo. Jim Palmer tried to help him
11 get out of bed, and he just couldn't, so he was taken
12 to --

13 Was it Tempe?

14 MEMBER PALMER: Tempe St. Luke's Hospital,
15 yes.

16 CHMN. KATZ: -- Tempe St. Luke's Hospital by
17 ambulance. All of his vital signs were normal, but he
18 was still having visual and dizziness symptoms. So our
19 thoughts and prayers, to use the true but old cliché,
20 should all be with him for a speedy recovery. But I'm
21 glad we have enough participants to go forward.

22 MEMBER GRINNELL: Mr. Chairman.

23 CHMN. KATZ: Yes, sir.

24 MEMBER GRINNELL: My fault. I did not see,
25 when the notice came out, that we were starting at

1 10:00 today. I had a previous appointment scheduled
2 for 11:00, assuming we were going to start at 1:00 like
3 normal. Will this change the quorum requirement?

4 CHMN. KATZ: Well, if you have to disappear
5 for an hour or so, we'll still have six of us present,
6 and then you could rejoin us. I think we'll be done by
7 mid-afternoon with the testimony, but we'll have to sit
8 here waiting until 5:30 for public comment. And I'm
9 suspecting we won't have much, if any, but we still
10 need to be available for that purpose.

11 How long will you be absent for --

12 MEMBER GRINNELL: Well, my original meeting
13 was scheduled from 11:00 to 12:45, so I'm going to see
14 if I can adjust it and change it. But I didn't catch,
15 when they sent -- when Tod sent out all the
16 information, I didn't catch the time change.

17 CHMN. KATZ: Well, if you can't do it, as
18 long as Member Hamway and Member Little can remain with
19 us, we can go forward.

20 MEMBER GRINNELL: All right. Sir, I'll keep
21 you posted.

22 CHMN. KATZ: Our next order of business
23 should be to decide whether or not we should allow the
24 Town of Gilbert, through their expert counsel
25 Mr. Crockett, to intervene. Do we have a motion?

1 MEMBER PALMER: Mr. Chairman, I would move
2 that we allow the Town of Gilbert to intervene.

3 MEMBER FRENCH: Second.

4 CHMN. KATZ: All in favor.

5 (A chorus of ayes.)

6 CHMN. KATZ: Anybody opposed?

7 (No response.)

8 CHMN. KATZ: Welcome, Mr. Crockett. Good to
9 see you once again.

10 And the next thing I would like Counsel to
11 speak out -- I believe this is about a 400- or 450-foot
12 power line and a substation. And I would ask Counsel,
13 if they would, to advise us as to whether or not they
14 think a tour would be necessary or appropriate.

15 MR. THOMAS: We don't believe a tour is
16 necessary, Mr. Chairman.

17 CHMN. KATZ: And this is very similar to the
18 CEC -- a very similar project to the one that was in
19 CEC 208 that we finished hearing yesterday. Do we have
20 a motion, one way or the other, to take a tour? And
21 with all of our virtual participants, I don't think it
22 would be helpful and I don't think it would be helpful
23 for any of us here, but that's my opinion. Do we have
24 a motion either to take a tour or not take a tour?

25 MEMBER PALMER: Mr. Chairman, I would move

1 that we dispense with the tour.

2 MEMBER FRENCH: Second.

3 CHMN. KATZ: All in favor.

4 (A chorus of ayes.)

5 CHMN. KATZ: Anybody opposed?

6 (No response.)

7 CHMN. KATZ: That all being said, I guess we
8 can begin with the evidentiary presentation. And I had
9 a brief conversation with Mr. Thomas and indicated
10 that, even though we've heard a lot of these experts
11 yesterday, we're going to have to hear from them again
12 today because the Corporation Commission is going to
13 need to have a good record, evidentiary record, upon
14 which to make their decision, and we definitely don't
15 want it kicked back to us so you get to do it a second
16 time.

17 So if you're ready to begin, I think we've
18 covered everything we need to. And Mr. Thomas, the
19 floor is yours.

20 MR. THOMAS: Thank you, Mr. Chairman. Our
21 first witness is Lucy Marton, M-A-R-T-O-N.

22 CHMN. KATZ: Whenever you're ready.

23 MR. THOMAS: Do you want to raise your right
24 hand to be --

25 CHMN. KATZ: Oh, we've got to do -- do you

1 prefer an oath or an affirmation?

2 MS. MARTON: An affirmation, please.

3 (Lucy Marton was duly affirmed by the
4 Chairman.)

5 CHMN. KATZ: Thank you very much.

6 Counsel, you may begin.

7

8 LUCY MARTON,

9 called as a witness on behalf of Applicant, having been
10 previously affirmed by the Chairman to speak the truth
11 and nothing but the truth, was examined and testified
12 as follows:

13

14 DIRECT EXAMINATION

15 BY MR. THOMAS:

16 Q. Tell us your name, please.

17 A. Lucy Marton.

18 Q. Where do you work?

19 A. I work as a permitting manager at Plus
20 Power.

21 Q. And what is Plus Power?

22 A. Plus Power is the parent company of
23 Superstition Energy Storage, LLC, the applicant in this
24 matter. They are a developer of standalone battery
25 energy storage systems transmission-connected. We have

1 over 7 gigawatts of projects in development across 20
2 states in the United States currently.

3 Q. Okay. And one of the projects we obviously
4 spoke about Monday and Tuesday was Sierra Estrella,
5 correct?

6 A. Correct.

7 Q. And that's a 250-megawatt battery storage
8 project approved by the Committee on Tuesday, right?

9 A. Correct.

10 Q. The project we're here about today,
11 Superstition, that's a 90-megawatt project?

12 A. Correct. 90 megawatts at four hours, so a
13 360-megawatt-hour system.

14 CHMN. KATZ: Did you say 90 or 19?

15 MR. THOMAS: 9-0, 90.

16 CHMN. KATZ: Thank you.

17 BY MR. THOMAS:

18 Q. And, of course, the Committee and the
19 Commission have jurisdiction over the Gen-Tie portion
20 of that project, right?

21 A. Correct.

22 Q. How long is the Gen-Tie for this project, do
23 you recall?

24 A. Approximately 440 feet.

25 Q. Okay. Why don't we flip to the next slide.

1 And I know everybody has heard this before,
2 but in addition to Sierra Estrella, which the Committee
3 know about, some of the other Plus Power projects are
4 on that slide 3 in Texas. Those are operating,
5 correct?

6 A. Correct. We have three projects in Texas,
7 all 100 megawatts, that are currently operational in
8 Texas. We have a project under construction in Hawaii
9 called the Kapolei Energy Storage Project, it's on
10 Oahu, and it's retiring the last coal plant. And then
11 we have two projects, that have contracts in ISO New
12 England, in Maine and Massachusetts that are in the
13 late-stage development.

14 Q. Okay. By the way, your slides, I believe,
15 are Exhibit SE-4, if anyone wants to follow along, is
16 that correct?

17 A. Correct.

18 Q. And then do you have in front of you the
19 binder for this project?

20 A. Yes.

21 Q. Wanted to give everybody a little road map of
22 where we're going today, if we might. So it looks like
23 Tab 1 is an amended Exhibit G for the application, is
24 that correct?

25 A. That is correct.

1 Q. And I believe the application was filed as
2 Exhibit 1?

3 A. That is correct.

4 Q. Now, Tab 2 looks like direct testimony from
5 Andy Allbee?

6 A. Yes.

7 Q. He's the project engineer?

8 A. That is correct.

9 Q. So we'll be hearing from Mr. Allbee today
10 rather than Mr. Banerjee, right?

11 A. That is correct.

12 Q. And you're taking the place of Molly Emerson
13 today, right?

14 A. Yes, big shoes to fill.

15 Q. Okay. So it will be terribly embarrassing if
16 you don't prevail in this hearing and you'll never hear
17 the end of it?

18 A. Never.

19 Q. And then we'll be hearing -- Tab 3 is direct
20 testimony by Mr. Petry and Mr. Hazle of SWCA. Are they
21 testifying as well?

22 A. Yes, they are.

23 Q. Tab 4 is your direct testimony. Tab 5 is
24 Paul Rogers, ESRG. He's here today as well, is that
25 correct?

1 A. Yes.

2 Q. And then we have nine exhibits filed here.
3 Just wanted to identify for the record, SES-1 appears
4 to be the original application, correct?

5 A. Correct.

6 Q. And we saw that we've got a replacement for
7 Exhibit G to the application, right?

8 A. Correct.

9 Q. Exhibit 2 is the amended Exhibit G that's
10 associated with that application, correct?

11 A. Correct.

12 Q. SES-3 was the potential tour itinerary,
13 right?

14 A. Correct.

15 Q. SES-4, these are the slides that are up on
16 the screen right now, correct?

17 A. Correct.

18 Q. And what's SE-5?

19 A. SE-5 is the requested CEC corridor.

20 Q. Or, SES-5.

21 Okay. And then SES-6, shareholder
22 involvement summary. I believe SWCA will talk about
23 this a bit?

24 A. That is correct.

25 Q. SES-7, I think, is the SWCA slides, correct?

1 A. Correct.

2 Q. And Number 8 is the Fisher Engineering safety
3 report regarding the Tesla Megapack 2XL, is that right?

4 A. That is correct.

5 Q. And Mr. Rogers can talk about that if the
6 Committee is interested?

7 A. Yes.

8 Q. And then Number 7, draft CEC applications
9 that the Committee will deal with later, right?

10 A. Yes.

11 Q. And then finally, SES-9, this looks like a
12 letter from Commission Staff to the Chairman, is that
13 right?

14 A. That is correct. And Staff concluded that
15 the proposed project could improve the reliability
16 and/or safety of the operation of the grid and the
17 delivery of power in Arizona.

18 Q. Okay. Well, let's get back to the slide
19 show, then. Thank you for guiding us through that.

20 The next slide, please.

21 So what are we seeing here in this two-part
22 slide on the left-hand slide? What does that depict?

23 A. The left-hand side is the Superstition
24 Battery Energy Storage Project. It is on an
25 approximately 3-acre parcel, with the substation itself

1 being approximately .8 acres. There will be a hundred
2 Megapack 2XLs on the 3-acre parcel for the 90-megawatt
3 system.

4 Q. And on that slide the things that look sort
5 of like tractor trailers are the Tesla Megapack 2XL
6 units?

7 A. That is correct.

8 Q. That parcel there -- over here on the
9 left-hand side of the room we've got a map. Can you
10 tell us generally what the location is of that parcel?

11 A. Yes. The parcel is located in the town of
12 Gilbert, very close to the city of Chandler and city of
13 Mesa as well, but the entire project is located within
14 the town of Gilbert, Arizona.

15 Q. On the map on the left-hand side of the room,
16 which parcel is the Plus Power parcel?

17 A. The blue parcel is the 3-acre Plus Power
18 parcel and the red parcel is the approximately 8.5-acre
19 Corbell Substation owned by SRP.

20 Q. Okay. So the blue square to the northwest is
21 the parcel that -- does Plus Power own that today or do
22 you have an option to purchase it?

23 A. We have an option to purchase, which we will
24 execute upon if the CEC is approved by the Committee.

25 Q. Okay. And then the -- kind of the

1 stair-looking parcel in red, that's the existing Salt
2 River Project Corbell Substation?

3 A. That is correct.

4 Q. Okay. And then over -- back to the right
5 side of the room, the second part of the slide, what
6 does that show us?

7 A. This shows the generation tie line that we
8 are requesting a Certificate of Environmental
9 Compatibility for today. It is approximately 440 feet.
10 It will leave the Superstition Energy Storage Project
11 substation, which I'll just refer to as the project
12 substation, it will go south crossing West Commerce
13 Avenue, approximately 50 feet of crossing there, into
14 the Corbell Substation, and then go east for
15 approximately 170 feet into a bay within the Corbell
16 substation.

17 Q. So Commerce Avenue is a street in the town of
18 Gilbert?

19 A. That is correct.

20 Q. Other than -- how long is the span going to
21 be over the street, do you know?

22 A. It will be a 50-foot aerial crossing.

23 Q. Other than that 50-foot aerial crossing, is
24 the Gen-Tie located entirely on private land?

25 A. That is correct.

1 Q. And that's land owned today by SRP in the
2 case of the Corbell Substation, right?

3 A. Correct.

4 Q. And in the case of the substation and battery
5 units, that will be land to be purchased by Plus Power?

6 A. Correct.

7 Q. No federal land involved, is there?

8 A. No.

9 Q. No state land?

10 A. No.

11 Q. Next slide, please.

12 Okay. Again, I think the left-hand slide is
13 the same thing we've got on the full screen on the --

14 Oh, can you go back one, please?

15 A. Yep. Sorry.

16 Q. So that's the same map over here that shows
17 the general location in the town of Gilbert?

18 A. That is correct. It shows the general
19 location and 1-mile study area buffer.

20 Q. And then on the right-hand side we've got a
21 closer-up view of the actual project location?

22 A. That is correct, of the proposed 440-foot
23 Gen-Tie.

24 Q. Okay. And again, we've got -- the blue
25 square parcel to the top of the picture, that's the one

1 that Plus Power will purchase, correct?

2 A. Correct.

3 Q. And then the red stair-steppy thing is the
4 existing Corbell Substation?

5 A. Correct.

6 Q. Okay. What's the yellow and black L-looking
7 line depicted there?

8 A. That is the proposed Gen-Tie line.

9 Q. And so that will go from the sort of southern
10 part of the Plus Power parcel down to Corbell?

11 A. Correct. It will move from the project
12 substation, across West Commerce Avenue, into the
13 existing Corbell Substation.

14 Q. There's a line south of the blue parcel
15 boundary and north of the red parcel boundary; is that
16 Commerce Avenue?

17 A. Yes, that is Commerce Avenue, which is the
18 Town of Gilbert's.

19 Q. So that's where we'll have the 50-foot span
20 across the street?

21 A. Correct.

22 Q. What's the yellow dot that's kind of at the
23 base of the letter L figure there?

24 A. That is an existing monopole within the
25 Corbell Substation, which is the preferred route to

1 enter into the Corbell Substation into the bay.

2 Q. Next slide, please.

3 Now, in this next slide entitled "Requested
4 CEC Corridor," it's similar to the last picture, but
5 you've got this kind of yellowy light brown shaded
6 area. What's that?

7 A. That is the corridor that we're requesting
8 for the CEC. It is approximately 3.7 acres. 0.8 acres
9 of that will be the project substation. It does not
10 include the entire Corbell Substation, which is 8.5
11 acres.

12 Q. Okay. And it looks like the yellow and black
13 L is within that shaded area, correct?

14 A. Correct.

15 Q. And why is it that you're requesting a
16 corridor with a bit of wiggle room rather than deciding
17 today where the Gen-Tie should go?

18 A. So SRP will construct, own, and operate the
19 Gen-Tie line, and they are still configuring their
20 final design. They are -- we are requesting the
21 corridor for three potential options that SRP is
22 evaluating. All of the options would originate in our
23 project substation in a new A frame and then enter the
24 Corbell Substation.

25 Within the Corbell Substation the preferred

1 route would be to go from the existing A frame to the
2 existing monopole and then into the bay.

3 Alternatively, it could enter the Corbell Substation,
4 connect to a new A frame, and then to the existing
5 monopole, dropping into the bay. And then the third
6 option they are evaluating is going into the Corbell
7 Substation to a new monopole that would be north of the
8 existing monopole into the -- into the bay. All new
9 structures would be located within the project
10 substation or Corbell Substation and within the
11 requested corridor.

12 Q. Okay. So it sounds like SRP engineers will
13 determine the final configuration of the Gen-Tie?

14 A. Correct.

15 Q. But in any event, it will remain within the
16 requested corridor area?

17 A. That is correct.

18 Q. Next slide, please.

19 Now, some of these characters are going to
20 look familiar. This slide looks like it depicts the
21 project team?

22 A. That is correct.

23 Q. And your role is project manager, correct?

24 A. Permitting manager.

25 Q. Permitting manager.

1 A. That's correct.

2 Q. What does permitting manager do?

3 A. We're responsible for managing and obtaining
4 all required permits for the construction, operations,
5 and development of battery energy storage projects
6 across the United States.

7 Q. What other projects have you worked on?

8 A. I am permitting manager for Superstition
9 Energy Storage, Sierra Estrella Energy Storage, which
10 you heard a case on earlier this week, as well as
11 projects across the western half of the United States.

12 Q. How long have you been at Plus Power?

13 A. I've been at Plus Power for a year.

14 Q. And before that?

15 A. I was with a company called LS Power. I was
16 responsible for obtaining all permits required for
17 high-voltage transmission lines and substations, mainly
18 345- and 500-kV. I was also responsible for
19 maintaining the operation permits for over 200 miles of
20 transmission line, 345, in Texas.

21 Q. And before that?

22 A. I worked as an environmental consultant for a
23 company called Ramboll Environ.

24 Q. And then was that your first job after
25 college?

1 A. That was.

2 Q. Where did you go to school?

3 A. The Missouri University of Science and
4 Technology, where I received a bachelor's in
5 environmental engineering.

6 Q. What year was that?

7 A. 2013.

8 Q. Are you a registered engineer?

9 A. I am a registered engineer in the state of
10 Missouri.

11 Q. Probably should have asked this before we got
12 halfway through, but Superstition Energy Storage, LLC
13 is the formal applicant here, correct?

14 A. That is correct.

15 Q. And that's a subsidiary of Plus Power?

16 A. Correct.

17 Q. So if we're sloppy today and we refer to Plus
18 Power rather than Superstition, that's interchangeable
19 for today's purposes, correct?

20 A. Correct.

21 Q. Now, we talked about the project location,
22 which is depicted here on the left. Who else are we
23 going to be hearing from today? Mr. Allbee is project
24 engineer?

25 A. Yes, he is the project engineer for the

1 Superstition Energy Storage Project. He will be
2 talking about the Gen-Tie design, the battery energy
3 storage system design, as well as the noise and
4 interference studies that are a part of the
5 application.

6 Q. So detailed questions about those issues are
7 probably better addressed to Mr. Allbee than to you?

8 A. Correct.

9 Q. And what did the SWCA folks do?

10 A. Plus Power retained SWCA Environmental
11 Consultants in January of 2022 to help us put together
12 the application and perform the studies necessary.
13 Dean Hazle and Devin Petry will be testifying on the
14 application, public notice and outreach, visual tour,
15 land use, bio, visual, cultural resources, and
16 recreation, as well as the overall compatibility of the
17 project.

18 Q. Did SWCA also support the public outreach
19 application with the Gilbert zoning process?

20 A. No, they did not.

21 Q. Someone else did that?

22 A. Correct.

23 Q. And finally, Paul Rogers, who is he?

24 A. He is the co-founder of Energy Safety
25 Response Group. Plus Power retained ESRG to assist

1 with drafting emergency response plans and hazard
2 mitigation analyses and coordinating with the Town Fire
3 Department to ensure safety. He will be testifying on
4 battery safety considerations today.

5 Q. He's a former New York City firefighter, is
6 that right?

7 A. That is correct.

8 Q. And ESRG specializes in battery storage and
9 also training and development of standards and codes?

10 A. That is correct.

11 Q. So those folks we'll all be hearing from
12 today, correct?

13 A. Correct.

14 Q. And then also on the slide you've got Asset,
15 Atwell, and BEI. We don't have witnesses from them
16 testifying today, right?

17 A. No, we do not.

18 Q. They're involved in sort of
19 non-Gen-Tie-related parts of the project?

20 A. Correct. Asset Engineering is the owner's
21 engineer for the project who's assisted us in obtaining
22 permits. Atwell is our civil engineering and site
23 design consultant who's assisted us with our Town of
24 Gilbert application permits. And then BEI Construction
25 will be the engineering, procurement, and construction

1 contractor who will build the project.

2 Q. Okay. And, of course, you have your youthful
3 counsel as well?

4 A. Yes.

5 Q. The next slide, please.

6 So how did this project come about?

7 A. So SRP's resource plan indicates a need for
8 increased peak load capacity by mid-2020s. In order to
9 support this need, SRP released an RFP in 2021
10 requesting an additional 400 megawatts of peaking
11 capacity by 2024 and an additional 600 megawatts of
12 peaking capacity by 2026. Plus Power saw this need and
13 bid in the Superstition Energy Storage Project, as well
14 as the Sierra Estrella Energy Storage Project we heard
15 about in the previous case into the RFP. We were
16 awarded the contract and signed the contract on
17 October 26th, 2022.

18 Q. And so you have a contract in place?

19 A. Correct.

20 Q. Subject, of course, to the CEC being granted?

21 A. Correct.

22 Q. What's the deadline for getting this project
23 online under your contract?

24 A. The project must be online by June 1st, 2024,
25 meaning construction will commence in 2023, spring of

1 2023.

2 Q. Okay. And this is a 90-megawatt storage
3 project?

4 A. Correct.

5 Q. There's no associated generating facility
6 with this project, right?

7 A. That is correct. It is a standalone battery
8 energy storage project.

9 Q. Okay. And so you will be taking power from
10 the SRP substation?

11 A. Correct, the Corbell Substation, which SRP
12 identified as a -- as an ideal substation for this type
13 of connection.

14 Q. Okay. So whatever power happens to get to
15 the Corbell Substation from whatever generating source
16 will be capable of being stored in your batteries?

17 A. Correct.

18 Q. And we don't know necessarily if that's from
19 solar or wind or any other source, correct?

20 A. Correct. It will support the resiliency and
21 reliability of the grid.

22 Q. Okay. In terms of 90 megawatts, just
23 size-wise, is there some -- how would you characterize
24 that?

25 A. In peak summertime, 90 megawatts is enough to

1 support approximately 20,000 homes. That would be the
2 peak load in the summertime.

3 Q. Next slide, please.

4 Has there been a local zoning approval
5 process as well?

6 A. Yes. So as you can see, our project is this
7 red star here. We are located in the general
8 industrial district, surrounded by other general
9 industrial uses, as well as the public facilities and
10 institutional zoning district, which is Corbell
11 Substation. Within the general industrial district,
12 large-scale utility facilities, which are facilities
13 greater than 2 acres, are permitted with a Special Use
14 Permit. Our project site is 3 acres.

15 We submitted a pre-filing application to the
16 Town of Gilbert in April of 2022, where they provided
17 comments on our site plan and our project. We went
18 back with a Special Use Permit application on
19 August 19th of 2022. As part of that application
20 process, we held a neighborhood meeting on August 17th
21 of 2022, where we allowed the neighborhood to come and
22 learn more about the project and ask questions. The
23 SUP was heard on the November 2nd SUP -- the Planning
24 Commission -- I'm sorry -- Planning Commission, where
25 they approved the SUP permit.

1 Q. Were you present at that meeting?

2 A. I was.

3 Q. Was there any public opposition?

4 A. No, there was not.

5 Q. And we heard this morning from Mr. Crockett
6 that the Town is in support, correct?

7 A. Correct.

8 Q. So on that -- the right-hand side of the
9 parcel shows kind of the general project area again?

10 A. Yes.

11 Q. And it looks like you are kind of on the
12 border of Chandler, and Mesa is nearby as well?

13 A. Correct. We're right near the border, but
14 the entire project is located within the town of
15 Gilbert.

16 Q. Okay. So Gilbert was the only zoning
17 authority involved?

18 A. Correct.

19 Q. Did Plus Power, nevertheless, engage Mesa and
20 Gilbert in its outreach process?

21 A. As you will hear from Dean Hazle and Devin
22 Petry later, we engaged both the City of Chandler and
23 City of Mesa and made them aware of the project.

24 Q. I think I know the answer to this, but why
25 this particular parcel adjacent to the Corbell

1 Substation rather than some other parcel?

2 A. As mentioned previously, SRP identified this
3 substation as a preferred substation. When looking to
4 site the project, Plus Power looked at parcels that
5 would be ideal -- ideal for this type of use, so
6 industrial properties, properties that were previously
7 disturbed. The property that we identified is within
8 the general industrial district, surrounded by other
9 industrial uses, such as trucking facilities,
10 construction facilities, you know, roofing facilities,
11 and adjacent to the Corbell Substation to ensure that
12 we didn't need a lengthy Gen-Tie line.

13 Q. Okay. This is about as close as you can get
14 to the substation?

15 A. Correct.

16 Q. Separated only by that 50-foot Commerce
17 Street or Avenue --

18 A. Correct.

19 Q. -- span?

20 A. Correct, that we will obtain an aerial
21 easement for from the Town of Gilbert.

22 Q. Did you look at any safety issues?

23 A. Yes, we looked at safety issues. And as you
24 will hear from Paul Rogers later, we have ensured
25 compliance with all of the local -- the most recent

1 standards, NFPA 855, as well as IFC of 2021 --
2 International Fire Code, excuse me, and ensured that
3 this is the latest and greatest technology.

4 Q. Okay. And Mr. Rogers can address that in
5 further detail, correct?

6 A. Correct.

7 Q. In terms of the engagement with the Town of
8 Gilbert, was there engagement already with the Town on
9 thermal safety issues?

10 A. Yes. So the fire department reviewed the
11 site plan that we submitted in April of 2022. We have
12 incorporated their comments into our site plan, which
13 we will resubmit with our design review that we will
14 proceed with now that the SUP has been approved.

15 We then met with the Town of Gilbert Fire
16 Department, Mr. Rogers was present, to introduce them
17 to the Megapack 2XL, explain the new safety features
18 and how they would respond to any incidents there.

19 Next, we will prepare an emergency response
20 plan and go back to the Town of Gilbert with the
21 emergency response plan and ESG to go through the
22 response plan to ensure that they will be trained on
23 how to handle these systems.

24 Q. And the Tesla Megapack 2XL technology that's
25 going to be used at Superstition if the CEC is granted,

1 that's the same as the technology we talked about with
2 regard to Sierra Estrella, correct?

3 A. That is correct.

4 Q. What's the status of your Gilbert zoning
5 approval?

6 A. It was approved on November 2nd. It has a
7 10-calendar-day appeal period. So on the 11th -- so on
8 November 13th, if no appeal has been filed, which
9 none have been filed to date, it will be final.

10 Q. Okay. And then that will be it for the
11 zoning approval process, correct?

12 A. Correct. There will be a design review
13 process that will be following that, but that is more
14 administrative.

15 Q. And then, of course, it sounds like you'll
16 have additional engagement with the fire department on
17 thermal safety issues, correct?

18 A. Correct.

19 MR. THOMAS: Mr. Chairman, I think that's all
20 the questions I have.

21 Lucy, stay put. There may be some questions
22 from the Committee Members.

23 CHMN. KATZ: If any of the Committee Members
24 have questions of Ms. Martin, please feel free to ask;
25 otherwise, we will proceed to our next witness.

1 (No response.)

2 CHMN. KATZ: Hearing from no one, Counsel,
3 you may call your next witness.

4 MS. DRIGGS: We'll have Mr. Dean Hazle,
5 H-A-Z-L-E, and then Mr. Devin Petry, who we had
6 speak yesterday, and they will be speaking as a
7 panel. So once they're sworn in, I will start. And
8 Mr. Hazle will be speaking first, followed by
9 Mr. Petry.

10 CHMN. KATZ: And do you gentlemen prefer an
11 oath or affirmation?

12 MR. HAZLE: An affirmation, please.

13 MR. PETRY: Affirmation as well, please.

14 (Dean Hazle and Devin Petry were duly
15 affirmed, en masse, by the Chairman.)

16 CHMN. KATZ: Thank you very much.

17 And you may begin, Counsel.

18 MS. DRIGGS: Thank you.

19

20 DEAN HAZLE, DEVIN PETRY,
21 called as witnesses as a panel on behalf of Applicant,
22 having been previously affirmed by the Chairman to
23 speak the truth and nothing but the truth, were
24 examined and testified as follows:

25

1 DIRECT EXAMINATION

2 BY MS. DRIGGS:

3 Q. Mr. Hazle, please state your name for the
4 record.

5 A. (MR. HAZLE) My name is Dean Hazle.

6 Q. And your business address is 1645 South Plaza
7 Way in Flagstaff, Arizona, is that correct?

8 A. (MR. HAZLE) Yes, it is.

9 Q. You're employed by SWCA Environmental
10 Consultants?

11 A. (MR. HAZLE) Yes.

12 Q. And your job title?

13 A. (MR. HAZLE) I'm a project manager and
14 environmental planner -- and environmental planner for
15 SWCA.16 Q. Please provide a brief description of your
17 educational background.18 A. (MR. HAZLE) Yes. I hold a bachelor's of
19 science in geology from Hope College in Holland,
20 Michigan. I've worked in both technical and management
21 positions for various state governments, including a
22 period as the assistant director for the Massachusetts
23 Energy Facilities Siting Board. Additionally, I've
24 served as an in-house permitting coordinator for
25 industrial operators. I've been employed by SWCA for

1 approximately one year, where, again, I serve as a
2 planner and project manager primarily focused on
3 transmission and renewable energy developments.

4 Q. All right. Let's move to the CEC
5 application, which has been previously marked as SES-1,
6 and also the amended Exhibit G, previously marked as
7 SES-2. Provide a brief explanation of SWCA's expertise
8 and role in this project, please.

9 A. (MR. HAZLE) Yes. SWCA is an environmental
10 consulting firm based in Phoenix. We routinely prepare
11 permit applications for various federal, state, and
12 local agencies. We provide consulting services related
13 to environmental planning, regulatory compliance, and
14 natural and cultural resource management in Arizona and
15 across the United States. In the past 10 years, SWCA
16 has been involved in at least 13 CEC cases before the
17 Line Siting Committee and the Corporation Commission.

18 Q. And you were engaged by Plus Power to assist
19 with the preparation of the CEC application, is that
20 right?

21 A. (MR. HAZLE) Yes.

22 Q. Please describe SWCA's role in this project.

23 A. (MR. HAZLE) As Ms. Marton mentioned, SWCA
24 was retained by Plus Power in January 2022 to assist
25 with the preparation of the CEC application for the

1 generation intertie line associated with the battery
2 energy storage system.

3 Regarding the CEC application, our main role
4 was to perform the environmental resource studies and
5 assist with the public involvement program for the CEC
6 application. Specifically, we completed resource
7 studies for Exhibit A through F and Exhibit H of the
8 application. In addition, we prepared Exhibit J, which
9 primarily contains our -- the details of our public
10 involvement program. Mr. Petry and I personally
11 coordinated these efforts and oversaw the compilation
12 of information contained in each exhibit.

13 Q. And please provide a brief overview of the
14 topics that you'll cover in your testimony today. I
15 think it's up on the screen as well.

16 A. (MR. HAZLE) Yes, it's on the right screen
17 here. I will provide the Committee with information on
18 the environmental studies completed for this project.
19 Specifically, those are: Existing and planned uses
20 contained in Exhibits A and B; scenic areas, historic
21 sites, structures, and archaeological sites contained
22 in Exhibit E; recreational purposes in Exhibit F;
23 existing plans in Exhibit H; and again, special
24 factors, which primarily focuses on our public
25 outreach, contained in Exhibit J.

1 Mr. Petry, to my left, will provide the
2 Committee with information on biological resources, and
3 finally, will provide his opinion regarding the overall
4 compatibility of the Gen-Tie.

5 Q. Please identify the study area that was used
6 by SWCA in preparing this application.

7 A. (MR. HAZLE) Yes. The study area is shown on
8 the left screen. It's sort of the 1-mile -- 1-mile
9 radius circle buffered around the Gen-Tie. As
10 Ms. Marton mentioned, the study area, you know,
11 overlaps with the town of Gilbert, the city of
12 Chandler, and the city of Mesa. The study area served
13 as the geographic boundary for our resource assessments
14 and the target area for our public outreach activities.

15 Q. And why did you choose a 1-mile radius?

16 A. A 1-mile study area was sufficient to capture
17 sort of the variety of environmental resources in the
18 area and also the affected jurisdictions that are near
19 the project we have here today.

20 Q. Thank you. Let's move on to public notice
21 and outreach. And I believe that you have a
22 stakeholder involvement summary previously marked SES-6
23 that summarizes your efforts, but please provide the
24 Committee with an overview of the public involvement
25 activities that you completed.

1 A. (MR. HAZLE) Sure. Of course. We took a
2 broad approach to noticing this project to the
3 surrounding communities, including property owners,
4 tenants, and businesses in Gilbert, Chandler, and Mesa.
5 In order to get the word out about the project, we
6 undertook the activities shown on the right screen
7 here. So that involved project mailings to
8 approximately 3,900 addresses within that 1-mile study
9 area. We held a virtual open house. We maintained a
10 project website. We set up a dedicated telephone and
11 e-mail account so that community members could directly
12 reach members of the project team. We took out
13 newspaper ads and social media advertisements in order
14 to broadcast the availability of the virtual open
15 house. And I think I already mentioned the project
16 e-mail there.

17 Q. Okay. Let's go through these one by one. So
18 July and August 2022, most of your outreach focused on
19 advertising the virtual open house and requesting
20 comments, is that correct?

21 A. Yeah, that's correct. In late July
22 specifically we mailed the first project newsletter,
23 which is shown here on the left screen. Again, that
24 went out to about 3,900 addresses contained in the
25 study area. The purpose of this newsletter was to

1 provide notice of the project, provide a brief
2 description of the CEC process, we included a map
3 showing the project's location, and most importantly,
4 we invited attendance at the virtual open house.

5 In addition, we purchased Facebook and
6 Instagram ads and display advertisements in local
7 newspapers. Those are shown on the left screen here.
8 Metrics from Facebook indicate that this advertisement,
9 which was live pretty much for the month of August,
10 reached approximately 15,800 accounts and received
11 approximately 750 clicks. Individuals who clicked on
12 the Facebook advertisement were directed to the virtual
13 open house website.

14 The display advertisements we purchased in
15 newspapers were taken out in the Gilbert Sun News,
16 Chandler Arizonan, and Mesa Tribune. Both of those --
17 excuse me. All three of those newspapers are specific
18 to the study area. And we ran this advertisement twice
19 during the month of August just to try and further get
20 the word out about the project.

21 The Committee may be familiar with sort of
22 the virtual open house approach for public involvement,
23 but this basically serves as a website environment
24 where we post information sort of on these display
25 boards, and that allows community members to peruse

1 that information as their leisure. There's a comment
2 form where they can submit questions or comments
3 directly to the project team and allows us to respond
4 directly to those individuals.

5 The virtual open house went live in late
6 August and is still live today. Through the end of
7 October, this virtual open house had received
8 approximately 1,400 views. And again, sort of
9 screenshots from that virtual open house are up here on
10 the left-hand screen.

11 In addition, the applicant, Superstition
12 Energy Storage, hosted their own project website, which
13 went live in July 2022. This website contained really
14 thorough information about the project itself, its
15 development context, its location. It had a community
16 page here, which again included, you know, contact
17 information so that members of the public could reach
18 the project team directly and also a list of frequently
19 asked questions.

20 Finally, as I previously mentioned, we did
21 have a dedicated telephone line and e-mail account that
22 the SWCA project team monitored continuously since they
23 went live in late July.

24 To date, the project received about 26
25 comments on the project through the various channels

1 that I previously described here. The nature of the
2 comments ranged from factual questions to support for
3 the project to concern about adding additional
4 electrical infrastructure to the area. The project
5 team endeavored to reply to each comment personally,
6 including those left on our Facebook advertisement. A
7 summary of the comments we received are included in the
8 application in Table J-2 and the supplemental public
9 involvement summary, which Ms. Driggs described
10 earlier.

11 Q. And please briefly describe the outreach
12 activities leading up to these hearings.

13 A. (MR. HAZLE) Yes. In accordance with the
14 Chairman's procedural order and the CEC regulations, we
15 published the notice of hearing, it's the full notice
16 of hearing, twice in the Arizona Republic and then
17 again in those same local newspapers, so Gilbert Sun
18 News, Mesa Tribune, and Chandler Arizonan.

19 We had broadcast signs made which displayed
20 the full notice of hearings, and we posted those around
21 the project site. And, you know, understanding that
22 the project site is sort of down a dead-end street in
23 an industrial area, we did endeavor to put these signs
24 in locations where they would be visible by the public.
25 So this one sort of in the upper center is on the

1 southern fence line of the Corbell Substation, and
2 that's along the Western Powerline Trail, which is a
3 multiuse path used by the community. So tried to make
4 these signs visible to the public.

5 In addition, we took out a social media
6 advertisement, which included event details for these
7 hearings today. And we sent a follow-up newsletter to
8 that same mailing list containing, you know, a
9 description of the project and hearing details so that
10 people could attend and provide public comment today if
11 they chose to.

12 Q. Let's move on to Exhibit H, letters, the
13 future plans for development. Did you contact public
14 or private entities to determine whether the project
15 would impact plans for other development in the project
16 area?

17 A. (MR. HAZLE) We did. On August 5th we sent a
18 letter to the public agencies described here on the
19 right screen. The letter specifically requested plans
20 for existing or future developments in the area. In
21 addition to the public agencies listed here, we did
22 identify one private developer just by viewing the Town
23 of Gilbert's sort of active planning case map.

24 The public agencies we noticed through this
25 Exhibit H letter include the Town of Gilbert's Planning

1 Department and Clerk's Office, the City of Chandler's
2 Planning Department and Clerk's Office, City of Mesa's
3 Planning Department and Clerk's Office, utility
4 providers, including the Western Area Power
5 Administration, the Salt River Project, and Arizona
6 Public Service Company. In addition, we reached out to
7 state agencies, including the Arizona Game and Fish
8 Department, the Department of Transportation, and
9 the State Historic Preservation Office.

10 We received three comments from this list on
11 the right here. Each of these comment letters are
12 shown on the left screen. They provided general
13 comments. None of the comments returned identified
14 existing or future plans that would be -- well, any
15 plans at all. The Western Area Power Administration
16 noted that they don't have any facilities in this area.
17 The Game and Fish Department provided their standard
18 online environmental review tool. And the State
19 Historic Preservation Office inquired about the
20 cultural resource inventory that we prepared for the
21 application. We replied to the SHPO staff with an
22 e-mail summary of the cultural resources study. The
23 SHPO staff did not request any further information.

24 Q. And all those responses are in Exhibit H?

25 A. (MR. HAZLE) Yes.

1 Q. State your conclusion, if any, regarding
2 whether the project is compatible with existing plans
3 of the state, local government, and private entities
4 for other developments in the study area.

5 A. (MR. HAZLE) Yes. As indicated by my
6 previous responses, we did not identify any existing or
7 planned developments that would be inconsistent with
8 the proposed Gen-Tie line.

9 Q. And now I believe you have a virtual tour
10 that you're going to walk us through with regard to the
11 project, is that right?

12 A. (MR. HAZLE) Yes, I do.

13 (Virtual tour plays.)

14 MR. HAZLE: So I think the Committee is
15 familiar with this style of virtual flyover tour. I'll
16 let it zoom in a little bit here before requesting to
17 pause just to establish sort of the context and
18 location for where we are.

19 If we could pause right about here. It's
20 just out of view, but this is West Guadalupe running
21 east/west across the northern area and then North
22 McQueen Road running north/south here. So our project
23 area is approximately one half mile southwest of that
24 intersection of Guadalupe and McQueen.

25 The area outlined in purple is the CEC

1 corridor for which we are requesting approval. The
2 area outlined in light blue is the battery storage site
3 itself. And then the area outlined in red is SRP's
4 Corbell Substation. When we get a little closer, the
5 dash line will, you know, show the alignment of the
6 Gen-Tie. And then finally, just these colored lines
7 running east/west, those are representations of
8 existing transmission lines that run along the western
9 canal and the recreational path which is aptly named
10 the Western Powerline Trail.

11 Let's continue with the tour.

12 So zooming in here, we get sort of an oblique
13 view. Just pause quickly here. Ms. Marton already
14 provided a good description of kind of the Gen-Tie
15 setup, but basically we're leaving the project
16 substation located in the southeast corner of the BESS
17 site. We'd lead down to an existing transmission
18 structure that already exists in the SRP substation and
19 then drop down into a new A frame structure and then
20 that breaker bay equipment.

21 Let's continue with the flyover.

22 This is our first key observation point.
23 I'll provide additional testimony about it in the
24 visual resources section, but it's just a nice
25 establishing picture.

1 Let's pause here. This is from the Western
2 Powerline Trail facing north towards the Corbell
3 Substation. It's mostly the existing conditions, but
4 then with our project facilities sort of simulated on
5 the left-hand side of the image here. So we have a new
6 A frame and new crossarms on the existing transmission
7 structure.

8 Let's continue with the video.

9 Panning over to the east, kind of providing a
10 view of the existing electrical infrastructure that's
11 already in Corbell. Again, the dash line represents
12 the alignment of our Gen-Tie that we're requesting
13 approval of here today.

14 Right now we're cruising over the Kokopelli
15 Golf Club, which borders the --

16 MEMBER GRINNELL: Sir.

17 CHMN. KATZ: Did you have a question?

18 MEMBER GRINNELL: Yeah, I have a question.

19 MR. HAZLE: Sure.

20 MEMBER GRINNELL: Does that utility corridor
21 or -- how many persons or how many people does that
22 actually generate power to, that whole facility there,
23 and how many more will this battery storage and this
24 Gen-Tie be able to facilitate?

25 MR. HAZLE: I can't speak to the load pocket

1 that the Corbell Substation serves for SRP, but I
2 believe Ms. Marton testified that the energy storage
3 system would support approximately 20,000 homes during
4 a peak load period.

5 MEMBER GRINNELL: Thank you.

6 MR. HAZLE: Sure.

7 We can resume the tour.

8 CHMN. KATZ: And that last question was from
9 Mr. Grinnell -- or, Member Grinnell.

10 MR. HAZLE: Thank you. This is the Playa Del
11 Rey subdivision located in the town of Gilbert. We
12 have our second sort of simulated conditions key
13 observation point from this neighborhood facing to the
14 west towards the Corbell Substation. No need to pause
15 here; we'll just get a flavor for the conditions.
16 Again, this is our new facilities, which would be the
17 crossarms on the existing transmission structure, and
18 much of the project infrastructure would have been
19 behind that house there. We'll provide further detail
20 in the visual resources testimony.

21 CHMN. KATZ: And again, I think we all
22 understand, but that substation -- SRP substation
23 already exists, and I don't know whether it was there
24 before or after that subdivision. But we're not adding
25 much of anything, correct, by way of one new pole?

1 MR. HAZLE: Yeah. As Ms. Marton described,
2 we have three design variants, but the preferred option
3 is to just actually use an existing transmission
4 structure. And I would agree with your
5 characterization that it's not much of a change here.

6 So this is cruising over the northern part of
7 the battery site, just kind of provides a nice
8 establishing context for the industrial nature of the
9 immediate surroundings. We have a lot of like
10 construction laydown yards, material storage yards,
11 trucking facilities, things like that.

12 We included just sort of an existing
13 conditions photo from this neighborhood immediately
14 west of the Corbell Substation. This is the Tremaine
15 Park neighborhood in the city of Chandler. And if we
16 could pause once we get the existing conditions photo.

17 We just included this to note that we did
18 sort of evaluate the visibility of the project from
19 this neighborhood to the west. And most of the
20 facilities in Corbell are very well screened by this
21 row of trees that's at the sort of eastern property
22 limit of these residential properties. These taller
23 transmission structures down here, they're running east
24 to west along the Powerline Trail, the taller one being
25 a 500-kV facility and then the secondary sort of like

1 230-kV lines that already exist and run down that
2 multiuse path.

3 So let's continue.

4 We're just going to kind of pan back out to
5 the initial starting view. So that basically -- that
6 concludes our virtual flyover tour, and I'd be happy to
7 answer any further questions from the Committee.

8 CHMN. KATZ: Committee have any questions
9 regarding the virtual tour?

10 (No response.)

11 CHMN. KATZ: Counsel, feel free to go
12 forward.

13 MS. DRIGGS: All right.

14 BY MS. DRIGGS:

15 Q. Let's move on to land use, which is Exhibits
16 A and B of premarked Exhibit SES-1. Please explain
17 your analysis of land use, ownership, and jurisdiction
18 as described in the application.

19 A. (MR. HAZLE) Sure. I think I sort of covered
20 some land use aspects in the flyover tour. But just to
21 orient the Committee, again, we looked at land use
22 within that 1-mile study area. Again, it includes
23 Gilbert, where the project is located, but also the
24 city of Chandler and the city of Mesa. Most notably,
25 land use at the project and also the whole study area

1 is privately owned, so we did not identify any federal
2 or state trust land within the vicinity of the project
3 even. The Gen-Tie would be entirely on privately owned
4 land except for that short span over West Commerce
5 Avenue.

6 We completed a desktop review and a field
7 visit to sort of confirm the land uses surrounding the
8 project. So I think, just to provide a high-level
9 overview, the purple areas here are, I believe,
10 industrial properties. We have a lot of industrial
11 properties immediately surrounding the project and then
12 also to the south.

13 And then the sort of purple brownish --
14 excuse me -- yellow brownish colors to the east, west,
15 and north, those are residential properties. Mostly
16 single-family homes to the east and west, but with some
17 more like apartment complex/condo developments farther
18 north. So, again, the immediate surroundings are
19 industrial and zoned as such, but then once we kind of
20 get out into the farther study area we have a little
21 bit more of a mix of industrial and residential
22 properties.

23 As I noted in the flyover tour, there are a
24 lot of existing electric transmission lines in the area
25 and, of course, the Corbell Substation. That Playa Del

1 Rey residential neighborhood, those are the closest
2 residential homes to the project. They're about
3 720 feet east of the Gen-Tie line. The Western
4 Powerline Trail and the Kokopelli Golf Course, those
5 are the nearest recreational facilities, with the
6 Powerline Trail being about 300 feet south of the
7 Gen-Tie.

8 The Gen-Tie would be located on parcels zoned
9 as general industrial and public
10 facilities/infrastructure. Under the Town's zoning
11 ordinance, the Gen-Tie and the BESS are allowable uses
12 subject to a Special Use Permit. Given that the
13 Gen-Tie would be in an industrial area with existing
14 transmission infrastructure, the project is compatible
15 with existing land uses.

16 Q. Let's move on to planned land uses, also in
17 Exhibits A and B. And you studied the impact of the
18 project on future land use plans, correct?

19 A. (MR. HAZLE) We did. We reviewed planned
20 land uses as designated by the General Plans of
21 Gilbert, Chandler, and Mesa. Those land use
22 designations are mapped here on the left-hand screen,
23 with the sort of respective designations pulled from
24 the individual General Plans.

25 The Town of Gilbert's General Plan designates

1 the project and its immediate surroundings as general
2 industrial or public facilities/institutional. Neither
3 the Gen-Tie nor the BESS site trigger a Comprehensive
4 Plan amendment -- excuse me -- a General Plan
5 amendment. Given that the area is already used for
6 industrial purposes, we found that the Gen-Tie is
7 compatible with both existing and planned or future
8 land uses.

9 Q. Let's move on to visual resources, and that
10 would be Exhibit E and G of SES-1. Please explain the
11 impact of the project, if any, on scenic areas or other
12 visual resources.

13 A. (MR. HAZLE) Sure. SWCA completed a visual
14 resources study for this project, which involved
15 characterizing the existing scenery and identifying
16 groups of sensitive viewers which may have views of the
17 project. We found that the existing scenery is
18 consistent with the highly developed nature of the
19 study area and the land uses that we described earlier.

20 The immediate area around the project is
21 visually dominated by existing electrical and utility
22 infrastructure, including those high-voltage
23 transmission lines, Corbell Substation, communications
24 tower, and the industrial laydown yards that we
25 described already. Given those factors, we found that

1 the scenic quality is relatively low sort of based on
2 the general lack of visually interesting land forms,
3 vegetation, and the prominence of built features.

4 Considering that scenic quality, we then
5 identified sensitive viewers. And for the purpose of
6 sensitive viewers, we kind of think about three
7 categories. So we have residential viewers, that might
8 have permanent views of this project; recreational
9 viewers, who may look at the project as they pass by
10 the substation on the Powerline Trail or from other
11 potential recreation areas; and then, quote, travel
12 route viewers, which is a term we use for anyone who
13 might be on public roadways that could see the project
14 as they pass through the area.

15 So, again, the nearest residential area is
16 the Playa Del Rey subdivision, where we saw on the
17 flyover tour. And then recreation -- the nearest
18 recreational areas are the Western Powerline Trail and
19 the Kokopelli Golf Course.

20 For our visual resources study we selected
21 two key observation points, the first being the
22 recreational views from the Western Powerline Trail
23 that's shown on the left-hand side of the left screen
24 here, and the second being the residential views from
25 the Playa Del Rey neighborhood facing west towards the

1 project.

2 To illustrate the potential visual impacts of
3 the project, we prepared simulated images using the
4 project's current design provided by Plus Power.
5 Simulations were developed using 3D modeling software
6 and are found in Exhibit G of the application and in
7 the amended Exhibit G, which is marked as SES-2 in this
8 case.

9 So our first key observation point shown on
10 the left-hand screen over here. Again, we have the
11 sort of existing conditions in the upper photo and the
12 simulated conditions in the lower photo. Here we can
13 see the new A frame structure and the new crossarms on
14 the existing transmission structure. Our conclusion
15 was that this would sort of repeat the basic visual
16 elements that already exist, it would have a low degree
17 of contrast, and would therefore have low visual
18 impacts.

19 CHMN. KATZ: And on the pole or tower to the
20 furthest left, it is going from having three arms to
21 six arms, correct?

22 MR. HAZLE: Yep, that's correct.

23 Ms. Marton described two design variants that
24 SRP may use, depending on sort of their final
25 engineering analysis. The first design variant would

1 add a second A frame structure immediately south of
2 West Commerce Avenue, but still inside of the Corbell
3 Substation. So that's shown on the left-hand side of
4 the lower image here. Our conclusion is the same:
5 This is low contrast and low visual impacts.

6 And finally, we have the second design
7 variant, which would not use the existing transmission
8 structure, but rather install a new structure sort of
9 about 90 feet north of the existing one that we
10 previously focused on. And again, this would repeat
11 the same visual elements that already exist, low
12 contrast, low visual impacts.

13 From here, we move over to our second
14 observation point from the Playa Del Rey neighborhood
15 in Gilbert to the east. Here we can see the existing
16 conditions. It's maybe a little hard to see at your
17 distance from the screen there, but there's kind of a
18 row of trees and then the actual physical structures of
19 the homes here. They screen quite a bit of the Corbell
20 Substation. The existing transmission structure that
21 we would connect to is just visible over the top of
22 this roof line and trees here, kind of where my laser
23 pointer is. So from this area you'd be able to see the
24 new crossarms, but same conclusion, low contrast, low
25 visual impacts.

1 The first design variant would be identical
2 to the preferred design in this case, and that's just
3 because the A frame structure is not tall enough to be
4 visible above this home right here.

5 The second design variant, which would use
6 sort of a new monopole structure, it is visible above
7 the tree line and this residential structure. It's
8 about right where my laser pointer is. But it's
9 minimally -- minimally visible above the tree line and
10 would be low contrast and low visual impacts.

11 Again, this is the same existing conditions
12 photo that I included in the virtual flyover. So here
13 we are in the Tremaine Park neighborhood of Chandler
14 facing east towards the Corbell Substation. We did not
15 develop simulations from this vantage point, primarily
16 because it was apparent that the existing facilities
17 inside of Corbell are sufficiently screened by these
18 trees already. So this is just included to provide
19 context from that second residential neighborhood.

20 Overall, our conclusion, as I previously
21 stated, would be that the Gen-Tie for the preferred
22 design or either design variants would have a low
23 degree of contrast and low visual impacts.

24 BY MS. DRIGGS:

25 Q. Let's move on to the cultural resources in

1 Exhibit E of SES-1. Describe SWCA's inventory and
2 findings regarding cultural resources in the project
3 area.

4 A. (MR. HAZLE) Yes. SWCA archaeologists
5 completed an inventory of previously identified
6 historic sites, structures, and archaeological sites
7 within the study area. Again, the study area is that
8 broader 1-mile circle around the Gen-Tie. We created
9 our inventory by consulting the Arizona State Museum
10 and their database, AZSITE. We reviewed the National
11 Register of Historic Places. We reviewed plat maps
12 from the General Land Office and historical topographic
13 maps from the U.S. Geological Survey.

14 The inventory revealed that there are no
15 known historic sites or archaeological sites along the
16 Gen-Tie's alignment or in the broader 1-mile study
17 area. The inventory did identify two historic-era
18 structures within the study area, but not in the
19 Gen-Tie alignment itself. Those two structures are a
20 railroad spur and State Route 87. Both of those are --
21 meet the criteria for historic-era structures, but are
22 still in use today.

23 Given that our visual impact analysis
24 concluded that the project would have low visual
25 impacts, we can similarly conclude that the project

1 would not have any direct or indirect effects on those
2 historic-era structures that were identified in the
3 inventory we completed.

4 Because the existing built environment
5 includes numerous modern structures, large transmission
6 lines, and given that the project would have low visual
7 impacts, our conclusion is that this project would not
8 directly or indirectly affect any historic sites,
9 structures, or archaeological sites, and would
10 therefore be compatible with known cultural resources
11 in the surrounding area.

12 Q. Let's move on to recreation in Exhibit F of
13 SES-1. Describe SWCA's inventory and findings
14 regarding those recreational resources.

15 A. (MR. HAZLE) Sure. So we looked at the
16 1-mile study area to identify anywhere where people
17 might be using public recreation facilities near the
18 project. The closest that we focused on were the
19 Western Powerline Trail, shown in the upper image of
20 the left-hand screen, and then the Kokopelli Golf
21 Course, which is shown here on the lower image of the
22 left screen.

23 Given that the project would have low visual
24 impacts, we concluded that the project would have no
25 effect to the ongoing use of the Western Powerline

1 Trail or the Kokopelli Golf Course. As you can see
2 here on the lower image, there's an existing masonry
3 block wall between the Corbell Substation and the golf
4 course that already provides some visual screening.

5 In addition to not interfering with the
6 ongoing use of these resources, the applicant does not
7 have any plans to develop recreational aspects of the
8 Gen-Tie line itself.

9 Q. Does that conclude your testimony?

10 A. (MR. HAZLE) Yes, it does.

11 Q. Let's move on to Mr. Petry. And Mr. Petry,
12 please state your name again for the record.

13 A. (MR. PETRY) Devin Petry.

14 Q. And the location of your office?

15 A. (MR. PETRY) 20 East Thomas Road, Suite 1700,
16 Phoenix, Arizona.

17 Q. And as you testified earlier this week,
18 you're employed by SWCA Environmental Consultants?

19 A. (MR. PETRY) Yes.

20 Q. And in what capacity?

21 A. (MR. PETRY) I'm a client services director
22 and senior environmental project manager.

23 Q. And you've testified previously before the
24 Arizona Power Plant and Transmission Line Siting
25 Committee?

1 A. (MR. PETRY) Yes, I have.

2 Q. In approximately seven cases, is that
3 correct?

4 A. (MR. PETRY) Seven cases.

5 Q. And those are listed in your prefiled
6 testimony, is that right?

7 A. (MR. PETRY) Yes.

8 Q. Please provide a brief overview of your
9 educational and professional background.

10 A. (MR. PETRY) Yes. I earned a bachelor of
11 arts in geography from the University of Arizona, and I
12 have approximately 14 years' experience in siting
13 studies, environmental planning, and permitting. And I
14 have managed over 50 environmental impact assessment
15 studies.

16 Q. And you are going to speak to biological
17 resources, Exhibits C and D of SES-1, is that right?

18 A. (MR. PETRY) Yes.

19 Q. Take us through the studies that SWCA
20 completed.

21 A. (MR. PETRY) Sure. As part of our inventory,
22 an SWCA biologist completed a reconnaissance-level
23 survey to document the existing conditions of the
24 project site and to note whether any habitat features
25 important to any special status, threatened, or

1 endangered species were present. We also obtained
2 information from the Arizona Game and Fish Department
3 and the United States Fish and Wildlife Service to
4 identify any protected species or their critical
5 habitat.

6 Our inventory found that no species listed
7 under the Endangered Species Act are present within the
8 project area and none are anticipated to be affected by
9 the project. As well, no protected areas or any areas
10 of biological wealth are within the project area.

11 Q. Given that there are no listed species and no
12 areas of biological wealth within the project area, are
13 any mitigation measures required to reduce the impact
14 of the project?

15 A. (MR. PETRY) Yes. We have identified
16 mitigation measures in both Exhibits C and D that are
17 very standard biological mitigation measures, really
18 focused on preconstruction surveys for nesting birds,
19 looking for cleaning of equipment prior to entering the
20 site to minimize invasive species, and just
21 constructing the Gen-Tie itself in compliance with
22 Avian Power Line Interaction Committee, or APLIC,
23 guidelines to minimize electrocution of large birds.

24 Q. Summarize your conclusions regarding whether
25 the project is compatible with wildlife and plant

1 species and any affected habitats.

2 A. (MR. PETRY) Yeah. Based on our evaluation,
3 the project is not likely to affect any rare,
4 endangered, or special status species or their habitat
5 or any areas of biological wealth. Because
6 construction of the project would take place in a
7 setting that is already highly altered, within an area
8 of existing utility and industrial infrastructure, the
9 project would not contribute significantly to the loss
10 of native vegetation that provides wildlife habitat or
11 contribute to any declines in any native plant or
12 wildlife species.

13 Q. In terms of overall compatibility, have you
14 formed an opinion regarding the environmental
15 compatibility of the project as described in the
16 application?

17 A. (MR. PETRY) Yes. When looking at the total
18 environment of the area, the project would have minimal
19 effects to existing and planned land uses, recreation,
20 visual, cultural, and biological resources. The
21 project is consistent with local zoning and land use
22 prescriptions and would be constructed in an area with,
23 again, existing electrical and industrial
24 infrastructure. Given this fully developed nature of
25 the project area and the relatively short distance of

1 the Gen-Tie, there is a low potential for it to affect
2 biological, cultural, or visual resources.

3 In my professional opinion, based on our
4 analysis, the project is environmentally compatible
5 with the factors set forth in ARS 40-360.06 and
6 consistent with previous projects approved by this
7 siting Committee.

8 Q. Does this conclude your testimony?

9 A. (MR. PETRY) Yes.

10 MS. DRIGGS: Thank you.

11 Any questions from the Committee?

12 CHMN. KATZ: Any questions from the
13 Committee?

14 (No response.)

15 CHMN. KATZ: I don't think so.

16 Either now or in about 5 or 10 minutes we
17 could take a short maybe 10-minute break and then run
18 until either 12:00 or 12:15. We'll just see where
19 we're at. And you'll let me know -- we don't need to
20 do it on the record -- as to how long of a lunch we
21 should take, because I know that we're going to have a
22 considerable wait between the time we're finished and
23 the public comments at 5:30. But I don't want to rush
24 you, so -- do you want to take a break now?

25 MS. DRIGGS: I think that makes sense to take

1 one right now.

2 CHMN. KATZ: Okay. And then are we next
3 going to hear from our fire and safety expert?

4 MS. DRIGGS: Next we hear from Mr. Allbee,
5 which is -- he's the project engineer, and followed by
6 Paul Rogers.

7 CHMN. KATZ: That's fine. We'll take a
8 break. It's almost 25 after. I'd like to get started
9 by about 20 to 12:00, and we'll maybe go a half an hour
10 to 40 minutes after that.

11 MS. DRIGGS: Okay. That sounds great.

12 CHMN. KATZ: We are in recess.

13 (Off the record from 11:23 a.m. to
14 11:43 a.m.)

15 CHMN. KATZ: Let's go back on the record. I
16 just text messaged our three virtual participants
17 saying we're ready. It's my understanding that we're
18 going to go ahead with Mr. Allbee's testimony, which
19 will take about 25 minutes, then we'll probably take an
20 hour or so for lunch, and finish up with, I believe,
21 our final witness, correct?

22 MS. DRIGGS: That's correct.

23 CHMN. KATZ: If you're ready to go -- I think
24 we have enough folks here right now. Why don't we go
25 ahead and --

1 Do you prefer an oath or an affirmation,
2 Mr. Allbee?

3 MR. ALLBEE: Oath, please.

4 (Andy Allbee was duly sworn by the Chairman.)

5 CHMN. KATZ: Thank you very much.

6 And you may begin, Counsel.

7

8 ANDY ALLBEE,

9 called as a witness on behalf of Applicant, having been
10 previously sworn by the Chairman to speak the truth and
11 nothing but the truth, was examined and testified as
12 follows:

13

14 DIRECT EXAMINATION

15 BY MS. DRIGGS:

16 Q. Please provide your name for the record.

17 A. Andy Allbee.

18 Q. And your --

19 A. Last name is spelled, sorry, A-L-L-B-E-E.

20 Q. Thank you. And your business address is 1780
21 Hughes Landing Boulevard, Suite 675, in The Woodlands,
22 Texas, is that correct?

23 A. Correct.

24 Q. You work for Plus Power?

25 A. Yes.

1 Q. And what is your job title at Plus Power?

2 A. I'm a project engineer, so my role is to
3 provide technical subject matter expertise on the
4 subject of battery energy storage systems.

5 Q. And you are the project engineer for the
6 standalone battery energy storage system that's
7 proposed for construction by Superstition Energy
8 Storage, LLC, is that right?

9 A. Correct.

10 Q. Describe your educational background.

11 A. I received my bachelor's of science in
12 engineering from the Cooper Union in 2005.

13 Q. And your full resume is attached to your
14 prefiled testimony if the Committee Members would like
15 to take a look, is that right?

16 A. Correct.

17 Q. Describe your experience working in clean
18 energy, utility, or related industries.

19 A. I started working in the solar industry in
20 2006 as a project engineer and project manager until
21 about 2012. From 2017 until today I've been in the
22 field of battery energy storage systems.

23 Q. Let's move to the Gen-Tie design itself. I
24 know it's detailed in the application, SES-1, in
25 Section 1.1, but please briefly describe that for us.

1 A. So the Gen-Tie is intended to connect the
2 project substation to the existing Corbell Substation.
3 As described in previous testimony, it's about 440 feet
4 all told.

5 Q. And the proposed project substation itself?

6 A. The project substation exists within --
7 within the BESS facility includes a main power
8 transformer, medium-voltage and high-voltage breakers
9 and feeders that connect the BESS yard to the energy
10 project substation.

11 Q. And I understand the project construction
12 schedule -- the expected BESS construction start date
13 is August 31st of 2023, is that correct?

14 A. Correct.

15 Q. And then the expected date of Gen-Tie
16 energization is April 1st of 2024?

17 A. Yes.

18 Q. And finally, the expected date of commercial
19 operation is June 1st of 2024, is that right?

20 A. That's right.

21 Q. Let's talk about the BESS design. Please
22 briefly describe --

23 MEMBER GRINNELL: Mr. Chairman.

24 CHMN. KATZ: Yes.

25 MS. DRIGGS: Go ahead.

1 MEMBER GRINNELL: Excuse me, Counsel. Is
2 there a reason you didn't connect directly to the SRP
3 substation instead of establishing a whole new
4 substation? I guess I was a little confused in reading
5 all this. There's already a major utility substation
6 there. Why didn't you just connect? What is the real
7 need for this substation? I guess I haven't gotten
8 that clear in my head yet.

9 MR. ALLBEE: Yeah. So the project substation
10 is intended to step up the voltage to the existing
11 Corbell Substation 230 kV. Rather than place any
12 additional equipment within SRP's Corbell Substation,
13 we place that in the -- within the project substation.

14 MEMBER GRINNELL: But if you were potentially
15 planning on transferring the substation to SRP at some
16 point, I guess -- I don't know. It just seems a little
17 redundant of the amount of infrastructure in that area.
18 And I don't mean to be nickel and diming this to death,
19 but I'm still trying to -- SRP could have easily done a
20 step up within their own substation. And the need and
21 cost that will be reflected and then passed on to the
22 ratepayers at some point seems to be redundant.

23 MR. ALLBEE: Yeah. What I can say is that
24 SRP may have made that decision. The system itself
25 is -- you know, was a response to an RFP and we

1 designed it in that way.

2 CHMN. KATZ: Also, wouldn't Plus Power, as
3 long as you're operating the battery storage facility,
4 want to retain control of the power distribution to SRP
5 until such time as SRP might take over the substation
6 located on Plus Power's property?

7 MR. ALLBEE: Correct. There's a more clear
8 line of delineation in that case.

9 MEMBER PALMER: Mr. Chairman.

10 CHMN. KATZ: Yes, Member Palmer.

11 MEMBER PALMER: Another question along those
12 lines that might clarify it, if I understand it
13 correctly, and I'm not saying that I do. Typically are
14 not battery storage facilities generating DC power that
15 has to be converted to AC?

16 MR. ALLBEE: They are, yeah. That AC-to-DC
17 conversion in this case actually happens within the
18 Tesla Megapack 2.

19 MEMBER PALMER: Oh, it does?

20 MR. ALLBEE: So anything coming out of, yeah,
21 the Megapack is AC.

22 MEMBER PALMER: Okay. Thank you.

23 BY MS. DRIGGS:

24 Q. And I believe also, Ms. Marton testified
25 earlier that the contract with SRP is for 20 years, but

1 Plus Power intends to operate that beyond that, is that
2 correct?

3 A. Correct. There's a few options that could
4 take place after that 20-year period.

5 Q. Right. And you need the step up regardless,
6 it's just a matter of where it's actually located, is
7 that right?

8 A. Correct. Yeah.

9 Q. Let's move on to the BESS design. And I
10 think we have slide 10 here. Could you just describe
11 what's on the slide?

12 A. Yes. So what we're seeing here is an image
13 of the Tesla Megapack 2 product. They're grouped in
14 groupings of two back to back in a series of rows and
15 columns.

16 Q. Okay. And let's move on to slide 11, which I
17 think has the -- is essentially the same thing with the
18 outside exterior cover removed.

19 Do we have that up or can you pull that up?
20 Thank you.

21 A. Yes. So this is an image of a single
22 Megapack from the front essentially with the doors
23 taken off. So you can see the inside of the Megapack
24 with modules and switch gear and other components.

25 Q. Okay. And how will the BESS interconnect

1 into the existing electrical grid?

2 A. The BESS -- the AC output from the BESS
3 connects to the project substation, where it's stepped
4 up to 230 kV, which is the voltage of the existing
5 Corbell Substation. And the energy travels from there,
6 through the Gen-Tie line, and into the Corbell
7 Substation.

8 Q. And how will the BESS be operated?

9 A. The BESS is intended to be operated fully
10 by SRP. They will operate that system remotely and
11 make decisions about when to charge, when to discharge,
12 et cetera. There is the ability to operate the system
13 locally via an HMI, which will probably only happen for
14 O&M purposes. Under regular operating scenarios, SRP
15 will operate the system fully remotely.

16 Q. Describe the battery manufacturer that you
17 expect to contract with.

18 A. The battery manufacturer is Tesla.

19 Q. And what considerations went into selecting
20 the technology for the current design, Tesla's
21 Megapack 2XL?

22 A. Yeah. We selected the Megapack 2XL for
23 safety, reliability, quality. We find that that
24 product offers excellent qualities in all three of
25 those measures. The product also has all the

1 applicable UL certifications we've described before.
2 We find that they also -- Tesla also provides an
3 appropriate level of design and engineering support not
4 only beginning of life, but also, you know, through O&M
5 and beyond.

6 Q. And will the project require future
7 augmentation? If so, please describe that.

8 A. Yeah, it will. The space for future
9 augmentation has been provided within the existing
10 proposed footprint of the BESS energy storage system.
11 Similar to other batteries, these batteries lose
12 capacity over time. So in order to meet our capacity
13 requirement in our contract, we will be adding
14 additional augmentation units. No further changes to
15 footprint or the Gen-Tie line will be required for
16 augmentation.

17 Q. How will the BESS be secured, in terms of
18 security fence, security cameras, et cetera?

19 A. An 8-foot block wall will be installed around
20 the perimeter of the entire facility. Also, cameras
21 will be installed capable of monitoring the entire BESS
22 area, as well as the substation, and any egress points,
23 gates on the east and southwest corner.

24 Q. And so those access routes for ingress and
25 egress, and I can't remember if Ms. Marton touched on

1 these, but briefly describe those.

2 A. The main entrance gate, located on the east
3 side of the facility along North Ithica Street, a
4 20-foot-wide gate which leads into the BESS facility.
5 There's a secondary access point in the southwest
6 corner of the site along West Commerce Ave.

7 Q. And I know we heard about this issue -- or,
8 potential issue earlier this week from Mr. Banerjee,
9 but discuss whether leaks could be a possibility and
10 what could be done in the event of a leak.

11 A. Yeah. Leaks to an electrolyte -- an
12 electrolyte system -- in this system are deemed to be a
13 very low-probability event. Electrolyte is contained
14 within a series of nested containers within the Tesla
15 Megapack 2 system itself, so any leak would be
16 contained within those containers. Leaks are generally
17 considered to be a very low-likelihood event.

18 Q. Understood. And I also believe that you
19 completed -- you evaluated potential noise and
20 interference as part of this project, is that correct?

21 A. Correct.

22 Q. And describe the anticipated noise emission
23 levels from the project, if any.

24 A. Yeah. Noise -- audible noise from systems
25 like this, 230 kV, are generally considered to be about

1 what you would expect in a normal conversation in terms
2 of decibel level. Considering the existing substation
3 that's already there, the noise created from any corona
4 discharge would be basically the same as background.

5 Q. So indistinguishable from the background
6 really?

7 A. Correct.

8 Q. And what about the results of the EMF study
9 that was prepared for the project, could you describe
10 those?

11 A. Yes. Similarly to the noise, in this case an
12 EMF study was done by Burns and McDonnell for the
13 project. It was found that EMF generated by the
14 Gen-Tie would be basically the same as what exists
15 already due to the existing substation and other
16 transmission lines and generally can be considered
17 negligible and background -- similar to background
18 existing conditions.

19 Q. And do you anticipate any radio or television
20 interference?

21 A. No. That interference typically would come
22 from EMF as well. So with low levels of EMF, there
23 were no expected interference for television or radio.

24 Q. Thank you. Does that conclude your
25 testimony?

1 A. It does.

2 MS. DRIGGS: Any questions from the
3 Committee?

4 CHMN. KATZ: Any questions from the
5 Committee?

6 (No response.)

7 CHMN. KATZ: What I think we will do -- I
8 expected that this might have taken a little bit longer
9 than it did. But I believe there's one more witness,
10 if I'm not mistaken.

11 MS. DRIGGS: That's correct.

12 CHMN. KATZ: Our fire and safety expert, who
13 we heard from yesterday, but we will gladly hear from
14 again today. I don't recall how long that testimony
15 will take, but I'm assuming it's probably no more than
16 an hour.

17 MS. DRIGGS: I would assume, depending on
18 questions. He would be happy to entertain questions if
19 there are any.

20 CHMN. KATZ: Sure. Let me just ask the
21 Committee Members. It's just a couple minutes before
22 12:00. We can take an hour break or we could break
23 longer, but any way we look at it we're going to end up
24 having to wait a couple of hours before the public
25 comment session that we can't reschedule,

1 unfortunately. And at the time we conducted our
2 prehearing conference, there was no way of gauging
3 exactly how long things would take, except we needed to
4 be done before the Friday holiday.

5 Any thoughts from our Committee Members? And
6 I do know that Mr. -- or, Member Grinnell may have a
7 meeting that he rescheduled. What time do you need to
8 be away from us, Mr. Grinnell?

9 MEMBER GRINNELL: If I leave now, my meeting
10 is 20 minutes away, it's an hour to an hour and a half.
11 So I would ask, if it's appropriate and fair to the
12 other Members -- I can be back by no later than 2:30.
13 I mean, do we have enough people here to be able to
14 satisfy --

15 CHMN. KATZ: Yes, we do, but -- yeah. I
16 mean, I think we want to be starting either by 1:00 or
17 1:30. I don't know if our -- any of the other
18 Committee Members have any preference.

19 MEMBER PALMER: Doesn't matter to me.

20 MEMBER FRENCH: No preference.

21 MEMBER HAMWAY: I prefer to get started and
22 get done. I mean, I've got things I need to do this
23 afternoon, so that's my preference.

24 MEMBER GRINNELL: Don't we have to be back at
25 5:30 for the public hearing?

1 CHMN. KATZ: Yes, we do. But I don't mind
2 getting started at 1:00. And you've heard most of the
3 testimony. You heard from the fire safety expert in a
4 prior hearing, and it will be substantially the same,
5 at least that's my expectation.

6 MS. DRIGGS: That's our expectation as well.

7 CHMN. KATZ: We're going to recess until
8 about 1:00. And if you can't join us until later,
9 Mr. Grinnell, we have enough folks, as long as Member
10 Little and Member Hamway rejoin us at 1:00 and
11 everybody that is physically present here today stays
12 healthy.

13 And we did get a report. Jack talked with
14 Jim Palmer, and he -- I don't know how he's
15 specifically feeling, but they ran a whole battery of
16 tests and Jack hadn't received a report back yet. But
17 I don't think there's anything seriously wrong with
18 him; it's probably an inner ear issue. But we'll
19 report back to you as we hear. And his wife is coming
20 down to pick him up whenever he's discharged.

21 So that's about it. We'll stand in recess
22 until 1:00.

23 (Off the record from 12:00 p.m. to 1:03 p.m.)

24 CHMN. KATZ: Good afternoon. We are
25 continuing our hearing in the Plus Power Superstition

1 Project, CEC 210. And I believe that we have a
2 sufficient number of folks. I believe Member Little
3 will be joining us shortly, and Member Hamway and
4 Member Grinnell are logged in. I can at least see
5 Member Grinnell.

6 So you can feel free to call, I believe, our
7 last witness in these proceedings.

8 MR. THOMAS: Thank you, Mr. Chairman. We
9 will get to Mr. Rogers in a minute; but before we do
10 that, I'd like to have Lucy Marton testify briefly
11 about the issue of potential transfer of a portion of
12 the --

13 CHMN. KATZ: That's fine.

14 MS. MARTON: Yes, thank you.

15 So in regards to the transfer of the CEC, I
16 just wanted to be clear, this entire area you see here
17 in yellow, that all will be CEC-1, and that will be
18 transferred to SRP. The project substation that we
19 were referring to before is in the Superstition Energy
20 Storage Project. That will be CEC-2, and that will be
21 assigned -- well, that will be Plus Power's or
22 Superstition Energy Storage, LLC's.

23 MR. THOMAS: And so the project substation
24 would not be included in the transfer to SRP in the
25 future?

1 MS. MARTON: That is correct.

2 MR. THOMAS: Okay. Thank you. Nothing
3 further from me.

4 Any questions?

5 CHMN. KATZ: Again, let me just understand
6 that one more time. CEC-1 is for the power line?

7 MS. MARTON: Correct.

8 MR. THOMAS: Yes.

9 CHMN. KATZ: And CEC-2, that CEC is for what?

10 MS. MARTON: CEC-2 is for the project
11 substation.

12 CHMN. KATZ: Okay. The project substation.

13 MS. MARTON: Within the Superstition Energy
14 Storage, yes.

15 CHMN. KATZ: And that's the one that could,
16 in the future, be transferred to SRP?

17 MS. MARTON: No. The Gen-Tie line, the
18 entire corridor you see here will be -- the entire
19 corridor you see here will be transferred to SRP.

20 CHMN. KATZ: So we're doing it a little bit
21 differently than on the other matter, correct?

22 MS. DRIGGS: It's just like the other matter.

23 CHMN. KATZ: Okay. It's just like the other
24 matter. That's fine.

25 You may proceed.

1 MR. THOMAS: Okay. If there's nothing
2 further for Ms. Marton, then we'd like to call Paul
3 Rogers. You need to raise your right hand and be
4 sworn.

5 CHMN. KATZ: Do you prefer the oath or
6 affirmation?

7 MR. ROGERS: I'll take the oath, please.

8 (Paul Rogers was duly sworn by the Chairman.)

9 CHMN. KATZ: You may proceed with
10 questioning, Counsel.

11 MR. THOMAS: Thank you.

12

13

PAUL ROGERS,

14 called as a witness on behalf of Applicant, having been
15 previously sworn by the Chairman to speak the truth and
16 nothing but the truth, was examined and testified as
17 follows:

18

19

DIRECT EXAMINATION

20 BY MR. THOMAS:

21 Q. Afternoon. Tell us your name for the record,
22 please.

23 A. My name is Paul Rogers.

24 Q. Where do you work?

25 A. I work at Energy Safety Response Group.

1 Q. What is Energy Safety Response Group?

2 A. Energy Safety Response Group is a consultant
3 company that looks at installation of -- installation
4 and design of energy storage systems and other energy
5 sources. We're made up of a group of firefighters and
6 engineers looking primarily at safety.

7 Q. How long have you been there?

8 A. Been there for three years now.

9 Q. Were you among the co-founders?

10 A. I was one of the co-founders, yes.

11 Q. Your office is in Glen Head, New York?

12 A. My office is in Glen Head, New York, yes.

13 Q. Are you also a former firefighter?

14 A. I am. I'm a former firefighter, retired from
15 the New York City Fire Department.

16 Q. What was your rank when you retired?

17 A. I retired as a lieutenant working in our
18 hazardous material unit.

19 Q. Did that include battery storage safety
20 issues?

21 A. Yeah. During my time in the fire department,
22 I was transferred to our Bureau of Fire Prevention to
23 look at battery energy storage systems that were coming
24 into New York City in the built environment.

25 Q. What years were you at the fire department?

1 A. I was in the fire department from 1993 to
2 2018, a total of 25 years.

3 Q. Did the department develop some standards for
4 battery storage units while you were there?

5 A. Yes. During my time there, when we were
6 first looking at battery energy storage coming into New
7 York City into high-rise buildings, the standards that
8 were currently available were not up to -- were not up
9 to par, for lack of a better term. And we started to
10 create our own guidelines, and it eventually rolled
11 into what we call a rule, sort of like an executive
12 order, that needs to be satisfied before people could
13 install and get the permission from the fire department
14 for an operating permit.

15 Q. What was that name of that code?

16 A. The name of the rule was 608, FDNY Rule 608.

17 Q. Did you play some role in the promulgation of
18 that rule?

19 A. I did. I was involved with safety from the
20 firefighter point of view, also looked at some of the
21 designs and other aspects that touch safety.

22 Q. When you were with the fire department, did
23 you play any role in standards set by
24 other standard-setting organizations?

25 A. Yes. During that time when I was with the

1 fire department, NFPA, National Fire Protection
2 Association, established a new standard, NFPA 855,
3 which looked at the construction, design,
4 commissioning, decommissioning, maintenance, and
5 operations of energy storage systems going into the
6 built environment.

7 Q. And you participated in the creation of 855?

8 A. Yes. I currently still sit on the Committee.
9 At that time when I first was involved, I was with the
10 New York City Fire Department as a representative. And
11 then after retirement, I was picked up by the
12 International Association of Firefighters representing
13 firefighters throughout the United States.

14 Q. Is the committee that created 855 still
15 active?

16 A. The committee that -- yes, the committee that
17 created 855 is still active.

18 Q. Okay. And you're still serving on it?

19 A. I'm still serving on it, yes.

20 Q. Is 855 the current standard for battery
21 storage safety?

22 A. 855 would be what we call the model code,
23 where local jurisdictions around the world can actually
24 adopt as their code. So they would be able to adopt
25 this as the code for energy storage systems being --

1 stationary energy storage systems being installed
2 within their built environment.

3 Q. What sorts of things are required by the
4 code?

5 A. So they look at a lot of different things in
6 regards to the site itself, operation and maintenance,
7 decommissioning, commissioning of the systems, listing
8 of the batteries and the enclosures, and numerous other
9 aspects in regards to the battery system itself.

10 Q. Are there any competing or similar codes that
11 are generally used?

12 A. There is another code out there called the
13 International Fire Code, and that's part of this whole
14 conglomerate of codes known as the "I codes." For
15 instance, there will be an International Building Code,
16 International Fire Code, International Plumbing Code,
17 International Electric Code, and on and on and on. But
18 they have a code that is in parallel with 855, and that
19 is the 2021 International Fire Code, Chapter 12.

20 Q. Are you familiar with that code as well?

21 A. I am familiar with that code, and I was
22 involved with helping create that also.

23 Q. When you were with the Department or
24 subsequently?

25 A. When I was with the Department, and even upon

1 retirement I continued to stay active in the Fire Code
2 Action Committee for Chapter 12 of the International
3 Fire Code.

4 Q. So back to ESRG. What sorts of clients does
5 your firm assist?

6 A. So we would deal with integrators and
7 installers. We also deal with people that are looking
8 to test their batteries, destructive testing of their
9 batteries. We do response to emergencies that -- where
10 there may have been failures, where people may need
11 assistance, in regards to helping them mitigate or
12 understand the failure modes itself.

13 Q. Do you also do any training in program
14 development work?

15 A. Yes. When the -- when we're working with an
16 integrator -- or, excuse me. When we're working with
17 an installer, we will bring the project from the
18 beginning, when they start to design it -- and then
19 after the design is sort of complete, we'll start to
20 build out an emergency response plan and a hazards
21 mitigation analysis that would go to the local
22 jurisdiction for their approval. Once it is approved,
23 we'll take that emergency response plan and we'll put
24 it into a training session. So we'll have
25 site-specific training for the local fire department.

1 Q. What do you mean by "installer"?

2 A. So an installer would be someone like Plus
3 Power where they'll buy the batteries from a company.
4 In this case, they're using a Tesla system; they would
5 be the integrator who is making the actual enclosure.
6 They'll buy those enclosures and then they will install
7 those enclosures into their location, wherever that may
8 be.

9 Q. How many companies developing battery storage
10 facilities would you say your company has assisted?

11 A. Companies -- we're probably about 40
12 companies with over a hundred projects.

13 Q. How about you personally?

14 A. I probably was involved with 50-plus
15 projects.

16 Q. In what locations?

17 A. New York -- the New England area, New York,
18 Massachusetts, Pennsylvania, Ohio, Arizona, Nevada,
19 California, Texas. They're the ones that just come to
20 mind right now.

21 Q. Now, we talked a couple days about the Sierra
22 Estrella project obviously you worked on here in
23 Arizona, correct?

24 A. Yes.

25 Q. What's the nature of other work you've done

1 here?

2 A. What's the nature of -- can you please --

3 Q. Yeah. What else have you done in Arizona?

4 You mentioned it's a place you've done -- you just

5 meant Sierra Estrella or there's something else you've

6 done down here?

7 A. No. I meant the Estrella -- the Plus Power.

8 And I do want to clarify that our company as
9 a whole has done other work down here for the Salt
10 River Project and APS. I was not involved in that type
11 of work, but there were other people that were doing
12 it. They did some training too.

13 Q. Okay. Gotcha. Are you familiar with the
14 safety design features of the Superstition Energy
15 Storage Project?

16 A. I am.

17 Q. What are they?

18 A. Well, first of all, are you -- just to be
19 clear, you're talking about the actual energy storage
20 system itself, right?

21 Q. Correct.

22 A. Yeah. So the energy storage system that you
23 see up on the board right now is a Tesla system. They
24 have to comply to everything that is in NFPA 855 or the
25 International Fire Code, if they're using those codes,

1 and they would be the best codes up to date right now.
2 But this particular Tesla system that you see on the
3 board is compliant to all the listings that are needed.
4 And just so you know, a listing would be a set of
5 criteria that the batteries need to go through in order
6 to make sure that they have the right performance and
7 then they'll get the listing. That is done by a
8 national recognized testing laboratory in order to get
9 that listing.

10 They also do destructive testing, something
11 that is required in NFPA 855 and the International Fire
12 Code, Chapter 12. Destructive testing, what they call
13 a large-scale fire testing, where they'll actually put
14 the -- they'll put the system into what is considered a
15 worst-case scenario in order to see how it would react
16 if there was a worst-case scenario and what type of
17 hazards would be presented as a result of that.

18 Q. Have you evaluated whether the Superstition
19 system will comply with the IFC and NFPA codes?

20 A. Yes. All the -- all of the requirements for
21 NFPA 855 and the IFC 2021 version, Chapter 12, this
22 particular energy storage system does comply with all
23 of that.

24 Q. Now, the Tesla Megapack 2XL system that
25 Superstition is using is newer technology than was used

1 in other areas previously, is that correct?

2 A. That is correct. Are you referring to their
3 first generation Megapack?

4 Q. Yes.

5 A. Yeah, the first generation Megapack and the
6 Megapack 2 -- we'll call the 1 Megapack 1 and then
7 Megapack 2. Even though they do call it Megapack,
8 just for the sake of the Committee we'll refer to that
9 as Megapack 1. There is a big difference between
10 Megapack 1 and Megapack 2.

11 Q. And for those of us who were poli sci majors,
12 can you dumb down the major distinctions between the
13 Megapack 1 and the Megapack 2XL?

14 A. Sure. If we can refer to, I think it's SE-8.

15 Q. Yes. SES-8, the Fisher report?

16 A. That is correct, of the Fisher report. I
17 see they have it up there right now. If we take a
18 look at the unit level test results, we can see a
19 dramatic difference between the testing results for the
20 Megapack 1 and the Megapack 2. They look almost
21 exactly the same, as far as the outside is concerned,
22 but on the inside they have a different chemistry and a
23 different cell format. And as a result of that, you
24 can see how the testing results have dramatically
25 changed and are a lot different.

1 We'll go down line by line. On the UL 9540A
2 unit level testing results, the Megapack 1, they heated
3 the cells internally, which led to what they -- a
4 spread or cascading thermal runaway of all the cells.
5 So inside the module itself, there's a group of cells.
6 When they put those cells into what is known as thermal
7 runaway, or a failure, the failure actually -- the heat
8 from that failure transferred to the adjoining cells,
9 and then so on and so on and so on in a domino effect
10 that put the whole module on fire and then eventually
11 the whole enclosure was on fire. But that was by
12 design. That's exactly what Tesla wanted to happen,
13 and it actually did happen.

14 What we see now is the Megapack 2, where they
15 had put those cells on -- into thermal runaway,
16 failure, and it led to only one additional cell. So
17 the spread was limited significantly from what we saw
18 in the Megapack 1.

19 CHMN. KATZ: Let me just ask you for
20 clarification. When we talk about a cell, is that with
21 three units in it? In other words, there are -- one,
22 two, three, four, five, six -- seven, I think, lines.
23 I just wanted to get a cell distinct from an individual
24 battery.

25 MR. ROGERS: Yeah, great question. If we can

1 go back to the picture of the actual enclosure itself,
2 I may be able to explain it for the Committee a little
3 bit better. And I think last time we had a picture --
4 a magnified version of the module on the other screen;
5 I'm going to probably need that too.

6 So if you see where the green dot is right
7 here --

8 CHMN. KATZ: Right.

9 MR. ROGERS: -- this is what UL, or the
10 people that are testing it, would be considered a
11 module.

12 CHMN. KATZ: Okay.

13 MR. ROGERS: So inside of this module is
14 numerous cells. Those cells would be put into a
15 thermal runaway. Just to give you a general idea on
16 what a cell -- kind of like the scale of what a cell
17 would be, take a look at my wallet. My wallet would be
18 like the size of the cell that we're dealing with.

19 So there would be numerous cells inside of
20 that module, and what they would do is they would put a
21 cell into thermal runaway. The heat that's generated,
22 they were trying to have that heat transferred to the
23 adjoining cell to put that into what they call
24 propagation, or spread, to put it into failure.

25 So you can see on the other side here, we

1 have -- what page are we on? I can't see.

2 CHMN. KATZ: Looks like it's Page 10.

3 MR. ROGERS: Thank you. I thought it was 10;
4 I wasn't sure.

5 Okay. So this would be magnified of the
6 module that we mentioned before. So this is -- inside
7 of here, this is where we have a group of cells here.
8 They had to -- in order to satisfy the test, you have
9 to actually have a cell or more cells to transfer the
10 heat to get another cell into propagation, or spread.
11 That is what is required for the test itself.

12 In this situation, they had to put six cells
13 into failure simultaneously in order for the heat to
14 transfer to the seventh cell in the middle, which is a
15 lighter shade of red. After that took place, there was
16 no other activity and no other spread that took place
17 from there, which shows the resiliency of this
18 particular model, that Megapack 2 that Tesla put
19 together.

20 CHMN. KATZ: And when we're looking at
21 this --

22 MR. ROGERS: This here?

23 CHMN. KATZ: -- each module has several cells
24 in it. And there are essentially three modules that
25 are -- how would you define the three modules that are

1 in that compartment? Because it appears to be three
2 compartments stacked on top of each other.

3 MR. ROGERS: Yeah, that's a great question.
4 And I was trying to simplify it for the Committee, but
5 this is where --

6 CHMN. KATZ: We don't need to get too
7 technical. I just think we all want to understand.

8 MR. ROGERS: Yeah. Yeah. Well, just to be
9 clear, in UL 9540A they do different testing. They do
10 a cell level test, then they do a module level test,
11 and then they do a unit level test. And finally, they
12 could, if you don't pass the unit level, do into an
13 installation. So there's four stages that you possibly
14 can go through. The first two stages are the cell and
15 module. Now, technically, Tesla considers this a
16 module. But UL, or the national recognized testing
17 laboratory, does not consider that a module. They
18 would consider this a module. So that's what they
19 needed to test.

20 Does that make sense? Am I bringing everyone
21 up to speed on that?

22 CHMN. KATZ: And there are three modules
23 within -- would you call that a unit? Whatever. The
24 three modules are separated from the adjacent three
25 modules?

1 MR. ROGERS: Yes. Yes. There is a barrier
2 in between it, yes. Very good.

3 So this here is magnified into this section
4 here. So, again, is there any further explanation on
5 how this goes into failure?

6 BY MR. THOMAS:

7 Q. So I have a question. So the picture on the
8 left showing the cells is a blown-up version of one of
9 the single modules over there, is that correct?

10 A. That is correct.

11 Q. And the -- so on the left, the test involved
12 heating up a total of six cells in order to prompt
13 failure in a seventh?

14 A. Yes. So the heat generated from the failure
15 of the six cells simultaneously transferred to the
16 middle cell in there sandwiched in between in order to
17 get that one to go into failure, or a thermal runaway.

18 Q. Okay. And what does thermal runaway mean in
19 that context?

20 A. Yeah. So thermal runaway is where there is
21 heat being generated and it cannot dissipate the heat
22 quick enough inside the cell, that it will go into
23 failure. Now, thermal runaway doesn't always
24 necessarily mean it will go on fire, and that's
25 important for everyone to understand that.

1 Q. Okay. So -- and who did this test?

2 A. So this test was performed by a national
3 recognized testing laboratory known as TUV.

4 Q. And they're independent from Tesla, correct?

5 A. They are considered a third-party national
6 recognized testing laboratory.

7 Q. And Fisher wrote a report on the testing that
8 was done by TUV?

9 A. That is correct. So Fisher -- so this test
10 is generating a tremendous amount of data, and that
11 data is produced on all levels, from the cell to the
12 module to the unit. And all of that data is collected.
13 And then that raw data, instead of them giving that to
14 the AHJ for them to interpret, Tesla took that raw
15 data, gave it to Fisher, and Fisher put it into a
16 narrative so they could understand what took place
17 during the testing.

18 Q. Okay. So Fisher didn't do the testing, TUV
19 did?

20 A. That is correct.

21 Q. And theoretically, Fisher's job was to make
22 the testing results understandable to mere mortals?

23 A. That's correct.

24 Q. So in this test example, the thermal runaway
25 for that seventh cell in the middle, that didn't

1 involve an actual fire, did it?

2 A. There was no fire that was observed during
3 the -- during the testing. Just behind you, you know,
4 we had -- all the doors were closed here, but there was
5 no fire that was observed during that testing.

6 Q. And then did the -- was there any spread from
7 this single module to the two adjacent modules as well?

8 A. There was no spread even within the module
9 itself, within the cell to cell, except for that one
10 that we see here. All these other cells were still
11 fine, they did not have any type of failure within.
12 And this module that would be considered about here --
13 I think this was the target module, it may have been
14 this one or this one -- this did not have enough heat
15 to transfer to this one to make that go into a thermal
16 runaway like a chain reaction and so on and so on and
17 so on.

18 Q. And presumably, then, the entire unit was not
19 affected as well?

20 A. That is correct.

21 CHMN. KATZ: And we don't need to get into
22 the Arizona failure, that one big failure that we had
23 here. You're familiar with that, correct?

24 MR. ROGERS: Surprise, is that the one you're
25 referring to?

1 CHMN. KATZ: Yes.

2 MR. ROGERS: Yes, I'm familiar.

3 CHMN. KATZ: Because wasn't there an
4 explosion? And was that because of a flammable gas or
5 was it just because of the heat and no room to expand?

6 MR. ROGERS: That's a great question. The
7 incident that took place in Surprise, Arizona, where
8 the firefighters were pushed back approximately
9 75 feet, that was an explosion that took place. So
10 when the cells went into failure, they continued to
11 spread, or propagate. And they released a clean agent,
12 which is -- for lack of a better term, retards the fire
13 triangle from actually taking place. And during that
14 failure, gases were produced that were flammable. And
15 then when the firefighters tried to make entry --
16 actually, let me clarify that. The firefighters did
17 not try to make entry. All they did was just open the
18 door and they were trying to ventilate the actual
19 enclosure. So -- but there's a big difference from
20 what we saw there to what we see today. If you need, I
21 will explain that to the Committee.

22 CHMN. KATZ: I'm assuming that without a
23 fire, we're not going to have those gases released?

24 MR. ROGERS: No, we still will have those
25 gases released, but those gases weren't enough to

1 actually go on fire. So when you're dealing with any
2 type of gas, you have what they call a lower explosive
3 limit and an upper explosive limit, things are too lean
4 to burn or too rich to burn. And at this particular
5 point, it was too lean to burn, is just the assumption,
6 because there wasn't enough gas buildup to actually go
7 on fire.

8 BY MR. THOMAS:

9 Q. So in the -- have you spoken with any of the
10 firefighters involved in the Surprise incident?

11 A. Yes, actually. I have spoken with the actual
12 firefighter that was -- was affected by the explosion
13 who was hospitalized for many months.

14 Q. And so you understand pretty well what
15 happened in that incident?

16 A. Yeah. We had some pretty deep conversations
17 about the operational challenges.

18 Q. Is that sort of incident something that can
19 happen with the Tesla Megapack 2XL to be used at
20 Superstition, based on this sampling that's been
21 conducted?

22 A. Based on what we see here, that can't. But I
23 want to make sure that everyone knows that the incident
24 that took place in Surprise, the firefighters were not
25 trained, they did not have an emergency response plan,

1 they did not have the codes and standards that are
2 relative today, they weren't even close to having them.
3 They also had a dedicated use building where someone
4 could actually walk into, where this one here you
5 cannot walk into it. And they had no type of
6 ventilation that they were able to pull the gases out
7 from a remote spot. So all of that stuff has now been
8 included in NFPA 855. And as I said before, Tesla
9 actually complies with all of those requirements for
10 their energy storage system.

11 Q. And the Surprise incident was April 2019, is
12 that right?

13 A. Yes, it was April. Yes.

14 Q. And so that predated the 855 code that we
15 comply with, right?

16 A. Yes. And remember, when you're designing
17 an energy storage system or an installation, there's
18 many -- it takes a couple of years in order for you to
19 get permitted and then to actual construction and then
20 operation. So even though it happened in 2019, I think
21 it was running for a couple of years. I don't remember
22 how long it was running. But the codes that they
23 looked at during that time were just not relative. As
24 a matter of fact, I think the codes that were relative,
25 they were above the code standards at that particular

1 time, which is pretty ironic that we had firefighters
2 hurt even though they were above.

3 Q. Will you or your company have a continuing
4 role on safety issues at this project?

5 A. We will. We will be training the fire
6 department, or anyone else that needs any type of
7 training in the area, to make sure that they are
8 familiar with the site itself, the site specific
9 itself, and making sure that they are -- the operation
10 considerations will be there. And we'll be working
11 hand in hand with them to make sure that they are
12 familiar with the actual location. We'll even do a
13 walk-through for them during the training.

14 Q. Will there be any sort of contingency or
15 emergency response plan developed?

16 A. There will. That emergency response plan
17 will be developed and then it will be put into a
18 training mode, and that will be delivered to the actual
19 firefighters. You know, we'll do a couple of sessions,
20 and if they need more, I'm sure we'll be able to bring
21 in as much as they need as far as safety is concerned.

22 Q. Do you recall submitting some prefiled direct
23 testimony here in this proceeding, the written
24 testimony?

25 A. I do.

1 Q. Does that remain accurate, as best you
2 recall, or anything in there that needs to be
3 corrected?

4 A. Not at this time, no. Everything that is in
5 here is accurate.

6 MR. THOMAS: Mr. Chairman, I don't have any
7 further questions for Mr. Rogers.

8 But, Paul, stay put. The Committee Members
9 may have some for you.

10 CHMN. KATZ: Do any of our Committee Members
11 have any questions for Mr. Rogers?

12 (No response.)

13 CHMN. KATZ: Hearing silence, are we done
14 with our evidentiary presentation, subject to you
15 offering Exhibits 1 through 9?

16 MR. THOMAS: Yes. And I would offer Exhibits
17 1 through 9.

18 CHMN. KATZ: And they will all be admitted.

19 (Exhibits SES-1 through SES-9 were admitted
20 into evidence.)

21 CHMN. KATZ: And we need to make sure that
22 our court reporter gets copies of all those; she may
23 already have them.

24 I guess we have no choice but to be recessed
25 for the next four hours or slightly short thereof. I'm

1 not expecting any public comments, but we have to be
2 safe and allow the public to participate if they wish
3 to do so.

4 MR. THOMAS: You know, I'd be happy to give a
5 four-hour closing statement if you'd like,
6 Mr. Chairman.

7 CHMN. KATZ: Most of us don't have a hotel
8 room, so we're not going to take a nap, and it's
9 getting a little bit too windy and nasty outside to
10 take a walk. But we do stand in recess, and I hope
11 everybody can join us, even though it will be probably
12 a very short session.

13 And tomorrow are we planning to start at 9:00
14 and probably have about an hour or so of time to just
15 approve the two CECs or edit them?

16 MR. THOMAS: Yes, 9:00 is fine, and hopefully
17 less than that. I think the only suggestion we'll have
18 will be the same Paragraph 16 "as may be a necessary"
19 edit.

20 CHMN. KATZ: Right. And we probably will
21 have to go, at least on the first CEC 210-1, we'll have
22 to probably go through all of the conditions again and
23 the findings and conclusions. But for the second one,
24 we'll just note the different description and the
25 elimination of Section -- or, modification of Section

1 16, okay?

2 MR. THOMAS: Okay.

3 CHMN. KATZ: And even though we all have been
4 there as of yesterday, we need to make sure we have a
5 good record for both the public and the Arizona
6 Corporation Commission, because I'm sure we don't want
7 to get together again to hear this a second time.

8 We do stand in recess.

9 (Off the record from 1:36 p.m. to 5:30 p.m.)

10 CHMN. KATZ: It is now 5:30, the time for
11 public comment. And I'm looking around the room, and
12 it's all familiar faces. We don't have any members of
13 the public that are in our hearing suite.

14 And I'll ask our IT people, do we have
15 anybody that is on the computer virtually?

16 MR. PENCA: Mr. Chairman, we do not.

17 CHMN. KATZ: There's nobody virtually. We'll
18 wait another two or three minutes, since we've been
19 this patient, but I doubt we're going to go any
20 further.

21 And Mary indicated she wouldn't be present
22 this afternoon, but I appreciate Toby and Rick tuning
23 back in with us. And we're going to start tomorrow
24 morning at 9:00 a.m.

25 MEMBER LITTLE: Rick, are you hearing

1 anything? Have they started?

2 CHMN. KATZ: What? What was that, Toby?

3 (No response.)

4 CHMN. KATZ: Oh, okay. It was someone that
5 called in, I guess.

6 MR. PENCA: It was Toby Little. You were
7 muted on the Zoom since we didn't go on the record, but
8 you can speak to her now.

9 CHMN. KATZ: What was that you said, Toby?
10 Rick and Toby, can either of you hear me?

11 MEMBER GRINNELL: I can hear you, sir.
12 Hello.

13 CHMN. KATZ: Yeah, I can hear you.

14 Member Little, can you hear me?

15 MEMBER LITTLE: Yes, I can.

16 CHMN. KATZ: Good enough. We're going to
17 resume tomorrow morning at 9:00. I think it should
18 take us about at most an hour, hour and 20 minutes to
19 review the CECs, which will be nearly identical to the
20 ones that we just went through earlier in the week, but
21 for obviously a different project.

22 There's still nobody here virtually or in
23 person. I'm going to call a recess. I appreciate very
24 much everybody's patience with having to wait about
25 four hours for this session that turned into much of

1 nothing, but I'd rather be safe than sorry and have a
2 member of the public complaining that they didn't have
3 a chance to support or object to the project.

4 Anyway, we'll see you all tomorrow morning.
5 If you're driving anywhere, do it safely. And if
6 you're at home, relax and enjoy yourselves. We do
7 stand in recess until 9:00 tomorrow.

8 (The hearing recessed at 5:33 p.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF ARIZONA)
) ss.
 2 COUNTY OF MARICOPA)

3

4 BE IT KNOWN that the foregoing proceedings
 were taken before me; that the foregoing pages are a
 full, true, and accurate record of the proceedings all
 5 done to the best of my skill and ability; that the
 proceedings were taken down by me in shorthand and
 6 thereafter reduced to print under my direction.

7

I CERTIFY that I am in no way related to any
 of the parties hereto nor am I in any way interested in
 8 the outcome hereof.

9


I CERTIFY that I have complied with the
 ethical obligations set forth in ACJA 7-206(F)(3) and
 10 ACJA 7-206 J(1)(g)(1) and (2). Dated at Phoenix,
 Arizona, this 14th day of November, 2022.

11

12

13

14



15

KATHRYN A. BLACKWELDER
 Certified Reporter
 Certificate No. 50666

16

17

I CERTIFY that Glennie Reporting Services,
 LLC, has complied with the ethical obligations set
 18 forth in ACJA 7-206(J)(1)(g)(1) through (6).

19

20

21

22

23



24

GLENNIE REPORTING SERVICES, LLC
 Registered Reporting Firm
 Arizona RRF No. R1035

25